



# ONTARIO ENERGY BOARD

**FILE NO.:** EB-2023-0195

**Toronto Hydro-Electric System  
Limited**

---

**VOLUME:** Technical Conference

**DATE:** April 9, 2024

EB-2023-0195

**THE ONTARIO ENERGY BOARD**

**Toronto Hydro-Electric System Limited**

**Application for energy distribution rates  
beginning January 1, 2025**

Technical Conference held in person and by videoconference  
from 2300 Yonge Street, 25th Floor, Toronto, Ontario,  
on Tuesday, April 9, 2024, commencing at 9:31 a.m.

-----  
TECHNICAL CONFERENCE  
-----

A P P E A R A N C E S

LAWREN MURRAY CHARLOTTE KANYA-FORSTNER	Board Counsel
THOMAS EMINOWICZ MARGARET DEFAZIO DANIEL ZANINI JOSH WASYLYK DANA WONG DONALD LAU ASHLEY SANASIE	Board Staff
CHARLES KEIZER DALIANA COBAN ARLEN STERNBERG	Toronto Hydro-Electric System Limited (THESL)
SHELLEY GRICE	Association of Major Power Consumers in Ontario (AMPCO)
CLEMENT LI	Building Owners and Managers Association (BOMA)
TOM LADANYI	Coalition of Concerned Manufacturers and Businesses of Canada (CCMBC), Energy Probe Research Foundation
JULIE GIRVAN	Consumers Council of Canada (CCC)
NICK DAUBE	Distributed Resource Council (DRC)
KENT ELSON	Environmental Defence (ED)
MICHAEL BROPHY	Pollution Probe
DAN ROSENBLUTH BAYU KIDANE	Power Workers' Union (PWU)
MARK RUBENSTEIN JANE SCOTT	School Energy Coalition (SEC)
MARK GARNER BILL HARPER	Vulnerable Energy Consumers Coalition (VECC)

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:31 a.m.	1
<b>TORONTO HYDRO-ELECTRIC SYSTEM LIMITED - PANEL 1, resumed</b>	1
<b>R. Marzoughi, K. Huntley, M. Higgins, G. Mundenchira, S. Narisetty</b>	
Preliminary Matters	1
Examination by Mr. Brophy (cont'd.):	3
Examination by Mr. Elson	19
--- Recess taken at 10:58 a.m.	41
--- On resuming at 11:21 a.m.	41
--- Luncheon recess taken at 12:23 p.m.	71
--- On resuming at 1:17 p.m.	71
Examination by Mr. Ladanyi	83
--- Recess taken at 1:53 p.m.	91
--- On resuming at 2:09 p.m.	91
--- Recess taken at 3:22 p.m.	129
--- Resuming at 3:37 p.m.	129
Examination by Mr. Zanini	129
Examination by Mr. Wasyluk	131
Examination by Ms. Defazio	145
--- Whereupon the conference adjourned at 4:58 p.m.	169

E X H I B I T S

Description

Page No.

---

NO EXHIBITS WERE FILED.

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING JT2.1: TO PROVIDE THE OUTPUTS OF THE MODEL ON A GROSS AND A NET BASIS	8
UNDERTAKING JT2.2: TO PROVIDE THE NUMBER OF CUSTOMERS WHO HAVE THE ABILITY TO CONNECT A DER TO THE SYSTEM, VERSUS THOSE WHO DO NOT HAVE THE ABILITY TO CONNECT.	21
UNDERTAKING JT2.3: TO PROVIDE THE RESULT OF CALCULATION OF TAKING THE CUSTOMER BASE TODAY IN TERMS OF THE DER POPULATION, AND EXTRAPOLATE THAT AGAINST THE INVESTMENTS TO BE MADE ACCORDING TO THE PLAN, AND PROVIDE THE IMPACT OF REDUCTION AND CONSTRAINTS ON THAT POPULATION THAT WE HAVE TODAY.	24
UNDERTAKING JT2.4: TO ADVISE THE FEASIBILITY OF TRACKING CAPACITY DRIVEN FUTURE PREMATURE RETIREMENTS, LISTING THE REASONS FOR PREMATURE REPLACEMENTS, DE-RECOGNITION EXPENSES, TO THE EXTENT THERE ARE FURTHER REASONS THAN THOSE ALREADY CITED.	48
UNDERTAKING JT2.5: TO ADVISE ON TRACKING AND TARGETING TOTAL DISTRIBUTION COSTS PER MEGAWATT-HOUR DELIVERED.	54
UNDERTAKING JT2.6: TO DESCRIBE HOW TRANSFORMERS ARE SIZED, WHETHER THAT IS BASED ON INDIVIDUAL ANALYSIS OF DEMAND OR THROUGH OTHER MEANS.	58
UNDERTAKING JT2.7: TO DESCRIBE THE BASIS FOR THE \$600 FEE AND ITS JUSTIFICATION; THE AVERAGE TIME IT TAKES AND THE ACTUAL LABOUR COSTS CONNECTED TO IT.	65

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING JT2.8: TO CONFIRM WHETHER THE CONNECTION IS OCCURRING ON THE CUSTOMER PROPERTY OR AT THE POLE LEVEL, AND SPEAK IN MORE DETAIL TO WHETHER TORONTO HYDRO WOULD BE OPEN TO CONSIDERING AN ARRANGEMENT WHERE THE CUSTOMER'S ELECTRICIAN CAN DO THAT.	67
UNDERTAKING JT2.9: TO ADVISE THE TOTAL TYPICAL COST FOR ALL CONNECTION CHARGES FOR A MICRO-GEN CONNECTION, INCLUDING BASELINE, REPLACING A METER.	73
UNDERTAKING JT2.10: TO JUSTIFY THE FEES THE CONNECTION CHARGE IN TERMS OF THE ACTUAL COSTS INCURRED BY TORONTO HYDRO.	74
UNDERTAKING JT2.11: TO PROVIDE A DOCUMENT WHERE TORONTO HYDRO DEFINES A BASIC CONNECTION WITH RESPECT TO MICRO-GENERATION FACILITIES AND PROVIDE THAT EXCERPT IN THAT DOCUMENT; OR IF IT ISN'T INDICATED IN A PUBLIC FACING DOCUMENT, TO EXPLAIN WHY.	75
UNDERTAKING JT2.12: REFERENCING 2B-ED-43, TO CONFIRM IF THE FIGURES INCLUDE UPSTREAM LOSSES AND BOTH TRANSMISSION AND DISTRIBUTION LOSSES.	76
UNDERTAKING JT2.13: TO ADVISE HOW THE VALUE OF LOSSES ARE QUANTIFIED, WHETHER IT INCLUDES THE ALL-IN PRICE OF ELECTRICITY, OR JUST THE HOEP, OR OTHERWISE.	77
UNDERTAKING JT2.14: TO PROVIDE THE FIGURES BEHIND THE ALTERYX MODEL FOR EACH YEAR BETWEEN 2023-2029	84
UNDERTAKING JT2.15: REFERRING TO 2-ccMBC-6E, TO MAKE BEST EFFORTS TO INQUIRE OF STANTEC WHETHER LOW TEMPERATURE WOULD HAVE BEEN SELECTED AS A CLIMATE PARAMETER.	89

U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING JT2.16: TO CONFIRM WHETHER THE REGION DESCRIBED IN 2B-CCMBC-8 IS ONLY THE TORONTO HYDRO SERVICE AREA OR IS SOUTHERN ONTARIO	90
UNDERTAKING JT2.17: TO RESPOND TO 1B-EP-5B, AND DESCRIBE HOW TORONTO HYDRO APPLIES THE DISTRIBUTION SYSTEM CODE.	123
UNDERTAKING JT2.18: TO COMPLETE THE OEB'S BCA CALCULATOR, NAMED THE DRAFT PHASE 1 BCA REPORTING TEMPLATE, WITH THE INPUTS INCLUDED IN THESL'S BCA CALCULATOR	136
UNDERTAKING JT2.19: TO PROVIDE REFERENCE TO THE DATA INPUT SOURCES USED TO FORECAST EV UPDATE	139
UNDERTAKING JT2.20: TO PROVIDE REFERENCES USED FOR VEHICLE CHARGING PROFILES, AND INSURANCE DATA REGARDING EV DRIVING HABITS LOCALLY.	140
UNDERTAKING JT2.21: TO REVIEW AND PROVIDE ANY CUSTOMER END USE SURVEYS OR ANY ANALYSIS OF DATA OR TRENDS RELATED TO ENERGY EFFICIENCY RETROFIT PROJECTS OR PUBLICLY AVAILABLE ENERGY CONSUMPTION DATA THAT HAVE BEEN USED TO INFORM ITS UNDERSTANDING OF CONSUMER BEHAVIOUR WITH RESPECT TO BUILDING ELECTRIFICATION, ON A BEST-EFFORTS BASIS	145
UNDERTAKING JT2.22: TO Update the graph in 1B-Staff-91 to include the five-year rolling average back to 2013.	149
UNDERTAKING JT2.23: TO CONFIRM THE ACTUAL NUMBERS OF MCS AND ANTENNA INSTALLATION PROGRAMS AND MCS BUYBACK PROGRAMS THAT ARE INCLUDED THIS THE RGCRP FUNDING REQUESTED FOR CLEARANCE FROM 2020 THROUGH 2022.	156



U N D E R T A K I N G S

<u>Description</u>	<u>Page No.</u>
UNDERTAKING JT2.24: TO PROVIDE A BREAKDOWN OF THE CALCULATION OF THE 27.5-YEAR DEPRECIATION PERIOD SHOWN IN 2-STAFF-109, APPENDIX B; TO REDO THE CALCULATION USING THE UPDATED DEPRECIATION RATES FROM THE CONCENTRIC STUDY PROPOSED IN THIS APPLICATION.	157
UNDERTAKING JT2.25: TO BREAK OUT THE COSTS FOR DECOMMISSIONING OF MSS IN THE FORECAST PERIOD WHERE THEY ARE INCLUDED IN THE DSP (REF: 2B-STAFF-135)	165
UNDERTAKING JT2.26: TO DESCRIBE ANY AGREEMENT BETWEEN TORONTO HYDRO AND METROLINX REGARDING THE APPORTIONMENT OF RELOCATION COSTS UNDER THE BUILDING TRANSIT FASTER ACT, PART IV, SECTION 51 (REF: 2B-STAFF-188).	165
UNDERTAKING JT2.27: TO PROVIDE AN APPROXIMATE VALUE FOR HOW MUCH OF THE HORSESHOE SYSTEM HAS OVERHEAD FEEDERS, VERSUS UNDERGROUND.	168

1 Tuesday, April 9, 2024

2 --- On commencing at 9:31 a.m.

3 MR. MURRAY: Welcome, everyone, to day two of the  
4 Toronto Hydro technical conference. There's been a bit of  
5 a change to the schedule. Mr. Brophy, I understand you're  
6 going to be up first. But perhaps before we do that, we're  
7 having a bit of feedback, so we're going to try to deal  
8 with a technical issue.

9 Once again good morning, everyone. We're in day two  
10 of the technical conference for Toronto Hydro. There's  
11 been a bit of a change to the schedule. First on the  
12 schedule today will be Mr. Brophy, to complete his  
13 questioning of panel 1. Mr. Brophy, over to you.

14 MR. BROPHY: Great. Thank you.

15 **TORONTO HYDRO-ELECTRIC SYSTEM LIMITED - PANEL 1,**

16 **RESUMED**

17 **Rei Marzoughi**

18 **Kirk Huntley**

19 **Matthew Higgins**

20 **Githu Mundenchira**

21 **Sushma Narisetty**

22 **PRELIMINARY MATTERS:**

23 MR. KEIZER: Sorry. Just before we begin, I have a  
24 couple of preliminary corrections, and then Mr. Brophy can  
25 begin, if that's possible.

26 MR. BROPHY: Yes, go ahead.

27 MR. MURRAY: Sorry for forgetting.

28 MR. KEIZER: I just know the witnesses have it on

1 their minds, and they just want to deal with it so they can  
2 focus on Mr. Brophy. So there are a couple of corrections.  
3 I think, Ms. Narisetty, that is first with you, right?

4 MS. NARISSETTY: Okay. The first correction I wanted  
5 to share was regarding the Toronto Green Standard. So I  
6 wanted to clarify that the Toronto Green Standard was  
7 integral to the design of the municipal energy plans, and  
8 Toronto Hydro included consideration of the municipal  
9 energy plans in its [audio dropout] forecast.

10 MR. KEIZER: And I think you have one additional one,  
11 I believe.

12 MS. NARISSETTY: Yes. This was with the IR response  
13 2B-SEC-67, regarding the question around what had changed,  
14 and I had mentioned that only the 2023 actuals had changed.  
15 But I also wanted to share that the 2024 bridge was also  
16 updated.

17 MR. KEIZER: And then there's one final correction,  
18 Mr. Mundenchira, you have.

19 MR. MUNDENCHIRA: Yes. Thank you, Mr. Keizer. There  
20 was a discussion about standard labour-rate calculations  
21 yesterday, for which I had a subject to check about  
22 confirming whether overtime is included as part of the  
23 total compensation costs. I had at the time said it is  
24 included. However, I want to make a correction that  
25 overtime is not included as part of that calculation. The  
26 references were Exhibit 2A, tab 4, schedule 2, schedule  
27 5.1.1. Thank you.

28 MR. KEIZER: Thank you. That's the only preliminary

1 matter we had.

2 MR. MURRAY: Thank you, Mr. Keizer. Perhaps before I  
3 go to Mr. Brophy, I'll just canvass the room to make sure  
4 there are no other preliminary matters.

5 MS. GIRVAN: Lawren, it's Julie Girvan here. I was  
6 the one who asked the question about the Toronto Green  
7 Standard, and I was just wondering if we could get them to  
8 file it. I didn't ask because they didn't acknowledge it  
9 yesterday.

10 MR. KEIZER: Sorry, just could I have a moment, Ms.  
11 Girvan?

12 MS. GIRVAN: Sure.

13 MR. KEIZER: I believe that it's a publicly available  
14 document. We're just going to confirm that it is available  
15 on the City of Toronto website, so --

16 MS. GIRVAN: Okay.

17 MR. KEIZER: -- we'll be able to advise you if you can  
18 access it there, Ms. Girvan.

19 MS. GIRVAN: Okay. Thank you.

20 MR. MURRAY: Seeing no other preliminary matters, I'm  
21 going to hand it over to Mr. Brophy.

22 **EXAMINATION BY MR. BROPHY (CONT'D.):**

23 MR. BROPHY: Great. Thank you. Good morning, panel.  
24 Good morning, everybody. I would like to start with 1B-  
25 Pollution Probe-11, and Appendix A. I can wait until you  
26 pull it up. It will be slide 3 of that appendix. If you  
27 need the reference again, let me know. That's the one.  
28 Perfect, thank you.

1           So maybe the panel can just confirm: This is the  
2 logic flow for the future energy scenarios model as  
3 outlined in the training guide for Toronto Hydro, correct?

4           MR. HIGGINS: Yes, this would be -- it's a high-level  
5 depiction of how the information flows from beginning to  
6 end, yes.

7           MR. BROPHY: Yes. Okay. Perfect, thank you. And  
8 then yesterday we were talking a bit about Toronto Hydro  
9 had indicated that it's using gross forecast as the input  
10 for your demand model and that DERs, the broader range of  
11 DERs, are not considered negative energy or a tool to  
12 reduce peak. So, when we look at the energy-flow model,  
13 the first bucket of key drivers is where everything starts  
14 and feeds in. Most of the things on that list are under  
15 the definition of DERs, so battery storage, distributor  
16 generation, EVs, energy efficiency.

17           So I was wondering if the panel would be able to just  
18 -- oh, I guess two things. One is it seems to be in  
19 conflict with the other modelling that doesn't include  
20 these in the forecast; and then, secondly, maybe we can  
21 just kind of walk through how these flow through the model  
22 and end up influencing Toronto Hydro's planning and  
23 forecast.

24           MR. HIGGINS: Sure, I can take a shot at that, Mr.  
25 Brophy. So maybe one thing I will just clarify is, for the  
26 future energy scenarios, we do have -- we are able to view  
27 both the gross and the net peak demands, so those data  
28 points are both available.

1           In terms of bringing this together with the load-  
2 forecasting exercise, when we set out to do the future  
3 energy scenarios, it was -- we made a deliberate decision  
4 to have it be a distinct parallel activity, the reason  
5 being that, at this stage, the goal was not to have the  
6 stations load forecast and the future energy scenarios  
7 actively converge in some way or to force them to be  
8 consistent through any kind of design iteration.

9           The point was to almost have a bit of a red-team/blue-  
10 team-style exercise, where we had a different team working  
11 with the consultant to develop the future energy scenarios,  
12 and then we had our capacity planning team doing the  
13 stations load forecast, and then we would sort of compare  
14 and contrast and hold the two results up against each  
15 other.

16           So there was no sort of deep, formal integration of  
17 the two. It was really that the future energy scenario is  
18 really meant to be a strategic product to kind of augment  
19 our intelligence and our awareness of what the future might  
20 look like.

21           MR. BROPHY: Okay. No, and that's helpful. I  
22 understand that the future energy model wouldn't match  
23 exactly the demand forecast, and the fact that you said it  
24 was two different teams reinforces that point.

25           But the general flow, I would think, would be similar,  
26 even if the specific outputs may not be exactly the same,  
27 so I guess the question is: How would you deal with that  
28 misalignment between your actual forecasting and the

1 outcomes or outputs of the future energy model? How do  
2 you, when they tell you two different things, what do you  
3 do with that?

4 MR. HIGGINS: I don't know if I would agree with the  
5 characterization of it being a misalignment as such. I  
6 think it's, you know, we expect to see differences and  
7 divergences. And another thing I will just note is that  
8 the future energy scenarios tool is not really -- the power  
9 and the usefulness of the tool and the focus of the model  
10 is not really the first five years or so. We don't expect  
11 major divergence within the same time frame that would be  
12 most salient for, say, our stations load forecast. So, in  
13 that way, it's not really even meant to be held up in the  
14 very short term.

15 Now, in the more medium to long term, as we described  
16 in section D4 of the evidence and I think elsewhere in the  
17 interrogatories, the future energy scenarios were  
18 leveraged; we leveraged them to further enrich,  
19 essentially, the data that we could use and the scenarios  
20 that we could used to assess our least-regrets approach to  
21 expansion investments, to have a sense of when we would  
22 need certain capabilities, potentially at scale, around  
23 things like DERs.

24 It was just another way of having insight into how  
25 that would look long term. And we did not go through, say,  
26 an exercise to sort of directly, apples to apples, compare  
27 in a deeper way, from like a capacity planning perspective,  
28 the two items.

1 MR. BROPHY: Sure. Okay. Fair enough. I understand  
2 your answer. So, for the future energy model, you  
3 indicated it can run in gross mode or in net mode, where  
4 your demand forecast is just gross. So is it possible to  
5 provide the outputs of the model on a gross and a net  
6 basis? Is that a possibility?

7 MR. KEIZER: Sorry, Mr. Brophy, I guess I'm trying to  
8 understand to what end, given the fact that Mr. Higgins has  
9 indicated that it didn't play a role in the peak energy  
10 demand forecast, and it's a scenario, not a forecast.

11 MR. BROPHY: Sure.

12 MR. KEIZER: So, I'm not sure what the relevance is of  
13 whether it shows it as a gross or a net base.

14 MR. BROPHY: Okay. Well, maybe, can you just tell me  
15 if you can do that, and then I'll explain why in a second.  
16 Because if you can't do it then it doesn't make sense to  
17 even waste the time explaining why.

18 MR. KEIZER: It would be helpful to know why, I guess  
19 that maybe that would help the explanation as well.

20 MR. BROPHY: Sure. Okay. Well, let's go on that  
21 approach. So, the future energy model is used to do  
22 planning and alignment with various factors, including the  
23 list of key drivers that are there. Those key drivers are  
24 the same as what's in Toronto Hydro's evidence, but you  
25 don't actually see the impact of those key drivers in a  
26 meaningful way, because what was in the evidence is the  
27 gross demand forecast.

28 So, given that this model can run in gross mode and



1 net mode, we wanted to see the difference between those two  
2 to know what the difference would be between gross and net.

3 MR. KEIZER: Can I just have a moment?

4 MR. BROPHY: Sure.

5 MR. KEIZER: Sorry, Mr. Brophy, the panel is just  
6 conferring, so just give me a moment.

7 MR. BROPHY: Sure, take whatever time you need.

8 MR. KEIZER: Go ahead, Mr. Higgins.

9 MR. HIGGINS: Yes, we should be able to provide that,  
10 I'm just going to have to check to see if it's readily  
11 available within the timeframes, but it should be possible.

12 MR. BROPHY: Okay, terrific.

13 MR. MURRAY: That will be undertaking JT2.1.

14 **UNDERTAKING JT2.1: TO PROVIDE THE OUTPUTS OF THE**  
15 **MODEL ON A GROSS AND A NET BASIS**

16 MR. BROPHY: Okay. And just to validate, like, I  
17 don't know exactly what those outputs will look like, I'm  
18 not familiar with the model. I haven't, obviously, run it.  
19 But to the extent it can provide the difference between  
20 gross and net, and indicate which of the key drivers that  
21 each element aligns to, that would be great. If that's too  
22 much for the model to handle, then just let us know.

23 MR. KEIZER: I guess we'll leave it, Mr. Brophy, is  
24 that we'll do what is capable of being done, I guess,  
25 within that context.

26 MR. BROPHY: Okay. Terrific. Thank you very much.  
27 Okay, the next question, maybe we can go to slide 4, which  
28 is actually almost the same diagram as what you had in

1 exhibit 2B, section D4, Appendix A, figure 1. But I think  
2 it's just easiest to go to slide 4 of this document that's  
3 on the page. And the diagram that was -- I'm assuming this  
4 is probably the source of it and then it was put into your  
5 evidence, is that the X Y chart that's there, I'm assuming  
6 the panel is familiar with that figure?

7 MR. HIGGINS: Yes.

8 MR. BROPHY: Yes, okay. Great. Thank you. So, that  
9 figure shows I'll call it three scenarios, you know, left  
10 steady progression, right net zero 2040, and then in the  
11 middle a scenario that's got boxes, consumer  
12 transformation, and system transformation. From left to  
13 right, which of those represents the scenario that the  
14 Toronto Hydro rate application is meant to achieve?

15 MR. HIGGINS: The rate application is not based on a  
16 particular scenario.

17 MR. BROPHY: Okay. So, if Toronto Hydro got exactly  
18 what it asked for, you wouldn't know which of these  
19 scenarios you would be trying to achieve? Is that what  
20 you're saying?

21 MR. KEIZER: Well, I can what the witness -- maybe it  
22 can be explored further. But I think what the witnesses  
23 said earlier is that the future energy scenarios did not  
24 factor directly into the peak demand forecast that is  
25 referenced in the evidence, and maybe either Mr. Higgins or  
26 Mr. Huntley can clarify, you know, to the extent that it  
27 very clearly played a role. But it was, it was not, it was  
28 not geared, as I understand it, to that forecast. So,

1 maybe the witnesses can clarify for your purposes, Mr.  
2 Brophy, especially if you have a lot of questions in this  
3 area.

4 MR. HIGGINS: Yes. So, I guess, going back to the  
5 response from before Mr. Brophy, the purpose of the  
6 exercise was to develop this long term view on different  
7 plausible pathways, that we may see over the longer term.  
8 Primarily to understand how rapidly under multiple  
9 different conditions external conditions we might see  
10 material changes on the distribution system and in our  
11 customer behaviour, and how much that might diverge over  
12 the longer term. And, essentially, what to watch out for  
13 and what we do need to be prepared for in the shorter term.

14 And so, to a certain narrow more limited extent, some  
15 of this information was used to examine whether the plans  
16 we had would be, essentially, enough to ensure flexibility  
17 if different scenarios arise, and that had implications  
18 for, on the margins, which investments we decided to pull  
19 forward and do, versus which we chose to wait and see and  
20 not do with respect to capacity. And then it also was  
21 useful context in understanding where the focus of our grid  
22 modernization strategy needed to be in the short and medium  
23 term to give ourselves flexibility, and ensure that if  
24 things do swing because of policy changes or economic  
25 changes, that we have the capabilities to adapt on the fly.

26 So, that's really how it was used. Not in any kind of  
27 direct way. And we certainly did not choose a particular  
28 scenario to anchor ourselves to, because that would have

1 been counter to the purpose of the exercise.

2 MR. BROPHY: Okay. And I can appreciate that,  
3 particularly given the timeline of this model exceeds the  
4 2025 and over the rate plan that you filed. So, that was  
5 one of the reasons yesterday we were talking about the  
6 longer term, you know, plan that Toronto Hydro confirmed  
7 that, you know, you've got pieces of longer term plans, but  
8 not a comprehensive one. That was a similar vein of  
9 thought around this.

10 So, maybe I can just simplify it then, and knowing  
11 that 2040 is beyond the term of this rate term, but are you  
12 aware of anything, any reason why the net zero 2040  
13 scenario could not be achieved based on the plan Toronto  
14 Hydro has filed in this proceeding? Is there anything that  
15 would block that from happening? Or do you think it's  
16 aligned with that scenario?

17 MR. HIGGINS: So, in attempt to clarify that further,  
18 so these scenarios do go out, as you have noted, beyond  
19 2040. The Net Zero 2040 scenario, in particular, is a very  
20 ambitious scenario. It was the one where we needed to push  
21 the model the most because some of the assumptions that are  
22 taken from Transform TO are quite aggressive in terms of  
23 technology uptake rates and, for example, really  
24 significant levels of building retrofits and things like  
25 that, that we have not seen evidence of those things  
26 happening yet.

27 And so the idea here behind the least-regrets model is  
28 to take things one bite at a time. And we are looking at

1 the next five years, and the decisions we need to make to  
2 ensure that of course we don't close ourselves off to the  
3 reality that things could pick up if the political and  
4 economic and technological situations suddenly take another  
5 step-change and evolve rapidly.

6 But we haven't, you know, included a level of  
7 investment that would assure, necessarily, that we are on  
8 that path today. We have included a level of investment  
9 and a mix of investments that leave the door open to the  
10 possibility of meeting those demands, if and when they do  
11 occur.

12 MR. BROPHY: Okay. Terrific, I think that's about as  
13 close to an answer that we'll get on a topic that is as  
14 difficult as this one. Thank you, for that.

15 So I would like to go to 1B-Staff-46. While that's  
16 being pulled up, that's the IR response that we were  
17 referred to from Pollution Probe-20. So we'll just focus  
18 on 1B-Staff-46.

19 So that interrogatory asks for a comparison list of  
20 the scorecard metrics between what you currently have and  
21 what's proposed under the scorecard metrics. And there's a  
22 table describing some details of the metrics, but the  
23 comparison wasn't done.

24 And I understand from the response that although some  
25 of the metrics are similar, none of them are exactly the  
26 same as what the current metrics are; something, you know,  
27 has changed in every one to some extent. So there are no  
28 metrics today that match exactly to the scorecard metric

1 list that is put forward. Is that a correct  
2 interpretation?

3 MR. HIGGINS: Subject to check, I believe it is a  
4 correct interpretation. In the notes there, there is some  
5 discussion on how the latest round of metrics for this rate  
6 application do fold in or can sort of subsume some of the  
7 concepts that were addressed by the previous metrics. So  
8 it's kind of an evolution, but I think it's fair what you  
9 said. Yes.

10 MR. BROPHY: Okay, great. Yes, and I understand some  
11 may be new or different, and others might be small changes,  
12 but none are exactly the same. So I just wanted to  
13 validate that. Thank you.

14 And also in Staff 46, Toronto Hydro indicates that:

15 "The 2025 to 2029 investment plan, its  
16 performance objectives and the custom rate  
17 framework are an integrated proposal to meet the  
18 needs of Toronto Hydro's systems and customers."

19 I'm not sure if it's on the screen. I'm just going to  
20 ask you to confirm that that's correct.

21 MR. HIGGINS: Sorry, Mr. Brophy, are you asking me to  
22 confirm the statement on the screen?

23 MR. BROPHY: I'm just validating that the wording is  
24 the same here. That's correct. Yes. Okay.

25 So you see -- what I just read you, see on the screen  
26 in the IR response, correct?

27 MR. HIGGINS: Yes.

28 MR. BROPHY: Okay. Great. So, then, if these metrics

1 in the scorecard are part of the integrated proposal, then  
2 does that mean that the results in the scorecard represent  
3 the baseline results that Toronto Hydro will need to  
4 deliver during the term in order to meet customer needs?

5 MR. HIGGINS: Can I ask you just to clarify, Mr.  
6 Brophy, what you mean by "baseline results"?

7 MR. BROPHY: Sure. So you put together scorecard  
8 metrics, and targets against that. That's all part of the  
9 integrated proposal that Toronto Hydro has put on the  
10 table. So I'm assuming what that means is that the  
11 scorecard represents part of that integrated proposal that  
12 Toronto Hydro has put forward in order to meet the system  
13 and customer needs over the term. Is that accurate?

14 MR. HIGGINS: If I'm understanding you correctly, yes,  
15 that's accurate. The performance incentives are part of  
16 the integrated proposal that is in front of the Board.

17 MR. BROPHY: Okay. What happens, then, you know, if  
18 one or more of the metrics in the scorecard are not  
19 achieved?

20 MR. KEIZER: I think that's probably a question for  
21 panel 3, Mr. Brophy.

22 MR. BROPHY: Okay. I'm happy to move it there. I  
23 thought it was more of a technical question. But I'm happy  
24 to bring that forward to panel 3.

25 Okay, so I just want to finish off; I've got just a  
26 couple of quick questions around useful life that was  
27 touched on yesterday. And there's a few references; one of  
28 them is 2B-Staff-131A. You probably don't need to pull it

1 up. In that response, it indicates:

2 "Regardless of where the useful life values are  
3 set, the application of prudent asset management  
4 principles would dictate that a utility should  
5 always be operating a substantial percentage of  
6 assets beyond useful life. Toronto Hydro does  
7 not replace individual assets simply because the  
8 age of the asset has exceeded useful life value."

9 Are you familiar with that statement?

10 MR. HIGGINS: Yes, I am, Mr. Brophy.

11 MR. BROPHY: Okay. Great. So there was a bit of a  
12 discussion yesterday on useful life, and I'm still trying  
13 to get my head around its purpose and use. So it appears  
14 that the term "useful life" or the useful life of an asset  
15 is not the factor that drives the Toronto Hydro decision to  
16 replace the asset. It's other factors, and I know 2B-SEC-  
17 44 had a bunch of other factors: risk of failure,  
18 criticality, et cetera.

19 So am I on the right path by leaving that statement I  
20 just made?

21 MR. HIGGINS: Sorry, I just didn't quite hear the Last  
22 maybe five words that you said there. We have a fan going  
23 in the background, so it is just a little --

24 MR. BROPHY: Sorry. Sorry, about that. So what I was  
25 asking is it looks like useful life for an asset does not  
26 factor in as one of the elements that drives replacement of  
27 an asset. Is that correct?

28 And, actually, why don't I read -- there's another



1 reference here that might be helpful to you before you  
2 answer. So, in Pollution Probe 27D, there was a response:

3 "The proposal to increase the service life of an  
4 asset," and that's based on the Concentric  
5 report, "primarily affects the useful life  
6 assumption used for the purpose of calculating  
7 depreciation."

8 So, in my mind, when I've gone through the responses,  
9 useful life is linked to depreciation, which I understand,  
10 but it's not the factor used to decide when the asset gets  
11 replaced. Is that correct?

12 MR. HIGGINS: That is correct.

13 MR. BROPHY: Okay. Okay, great. Thank you. And then  
14 -- so I know there was some talk yesterday about 24 or 25  
15 percent of assets are beyond their useful lives. I wasn't  
16 sure what the purpose of that statistic was. I guess it is  
17 just to support that useful life may need to change and,  
18 therefore, change the depreciation?

19 Is that -- like, what was the purpose of highlighting  
20 that about a quarter of the assets are beyond useful life,  
21 if it's not used for asset replacement?

22 MR. HIGGINS: So if I can just maybe make a  
23 distinction which I hope is helpful: When it comes to  
24 specifically determining the volume of assets that need to  
25 be replaced in the distribution system plan, which is a  
26 multi-year plan -- it is not project based, except in  
27 certain circumstances -- also when making decisions at the  
28 project level about which assets to replace. In neither of

1 those situations, where we're either setting the pace of  
2 investment or we are determining the actual project that's  
3 going to be done within a funded envelope, in neither of  
4 those situations is the fact that an asset has exceeded its  
5 useful life a determining factor in whether that assets is  
6 prioritized for replacement.

7 As you mentioned, in 2B-SEC-44, we talk about  
8 criticality and design considerations and all the things  
9 that we need to deal with within our service territory,  
10 that complicate that analysis. And, even when age is a  
11 factor, which it sometimes is when looking at, you know,  
12 large amounts of assets or assets that don't have  
13 condition, we're not looking at the useful life as a  
14 benchmark for decision-making there; we're looking at the  
15 oldest assets in the area.

16 With respect to the assets-past-useful-life metric, we  
17 do continue to include that in our evidence. It's -- to a  
18 certain extent, it's continuity with past evidence, and the  
19 things about the assets-past-useful-life metric that is  
20 ultimately useful at a high level to -- you know, it  
21 obviously has limitations to this which we're trying to  
22 underscore. But what's useful about it at the end to the  
23 day is, rather than looking at a histogram distribution of  
24 each asset class, we can boil the asset base down to a  
25 simple metric that allows us to say: Is the asset base  
26 getting older; is it getting younger in general, and, if  
27 so, at what rate is it changing? So that's really the  
28 extent of the purpose of that measure. I don't know if

1 that answers your question, Mr. Brophy.

2 MR. BROPHY: No, that does for sure. Thank you for  
3 the answer. Those are all my questions, and I would just  
4 like to thank the panel. It has been very helpful, the  
5 answers provided. Thank you very much.

6 MR. KEIZER: All right. Sorry, Mr. Brophy, before you  
7 go, I just wanted to clarify one thing. We had moved you  
8 over to panel 3 when you had asked questions about what  
9 happens if you don't meet the scorecard measures. I just  
10 wanted to clarify because we didn't want you to lose an  
11 opportunity if you need it. Were your questions in that  
12 regard intended to be on an operational level or on a  
13 technical level, or was it intended as to what the  
14 implications were under the rate framework?

15 MR. BROPHY: Okay. I didn't think it would be fitting  
16 for panel 3 under the rate framework because it's about the  
17 metrics, and that panel may not be familiar with any of the  
18 metrics, themselves. And I didn't plan to walk the panel  
19 through every metric in the scorecard. I didn't think that  
20 that was helpful. But, like, if you were to pick, you  
21 know, one, two, three of those metrics, even the ones that  
22 relate to the expertise in this panel at a general sense --  
23 again, I don't want to open up the scorecard and spend half  
24 an hour on it. But, you know, if you didn't hit those,  
25 does that mean you're not meeting the system and customer  
26 needs, or is it a different interpretation?

27 So I'm in your hands whether you think this panel can  
28 answer that, and again, not about any of the metrics that

1 are outside of their scope. If they just want to answer  
2 within the metrics related to the panel, that's fine.

3 MR. KEIZER: That's fine. I think Mr. Higgins can  
4 give it a go.

5 MR. HIGGINS: Yes, at a high level, Mr. Brophy. I  
6 think this is articulated in the, you know, the scorecard  
7 evidence. But, just to summarize, the targets, well, the  
8 selection of the metrics and then ultimately the targets  
9 that were set for -- I mean, I'll speak narrowly, but I  
10 think this generally applies. But, speaking to sort of  
11 SAIDI, SAIFI, the grid modernization related stuff, that it  
12 would apply to this panel.

13 The targets that were set, they are the objectives of  
14 the plan, and they are objectives specifically in areas  
15 that are, you know, material elements, material outcomes,  
16 major sort of important themes of the plan. And most of  
17 those themes are tied to things that we engage customers on  
18 and heard that they have a particular view on and generally  
19 support the proposal.

20 So, you know, the performance incentive targets here  
21 are the objectives of the plan, and, if we don't meet them,  
22 then we would not have met the objectives of the plan.

23 MR. BROPHY: Okay. I think that's sufficient. Thank  
24 you very much.

25 MR. MURRAY: Thank you, Mr. Brophy. Next on the list  
26 is Mr. Elson.

27 **EXAMINATION BY MR. ELSON:**

28 MR. ELSON: Good morning. I don't believe I've met

1 all of you. My name is Kent Elson, and I represent  
2 Environmental Defence. And I hope today to be done by  
3 lunch, is my goal, but we will see how things go.

4 I would like to start with 1B-ED-06, please, and I had  
5 some questions further to this interrogatory, which was  
6 asking about constraints on your customers to install  
7 distributed energy resources. And, in part A, you  
8 indicated that approximately 5 percent of Toronto Hydro's  
9 customers cannot install or cannot connect a DER. Does  
10 that include customers with a thermal constraint or just  
11 short-circuit constraints?

12 Is it all constraints or just one or the other?

13 MR. HUNTLEY: Good morning, Mr. Elson. Thank you for  
14 the question. That constraint specifically refers to  
15 short-circuit capacity.

16 MR. ELSON: Could you provide an undertaking to let us  
17 know how many and what percentage of Toronto Hydro  
18 customers are unable to connect a DER to the system due to  
19 any kind of constraints, thermal or short-circuit?

20 MR. HUNTLEY: Mr. Elson, we track the amount of  
21 customers that are unable to connect to the system, and the  
22 number currently stands at 27 between 2020 and 2023.

23 MR. ELSON: I'm sorry. You said the number was what  
24 number?

25 MR. HUNTLEY: Twenty-seven connections.

26 MR. ELSON: Got it. Those are the number of people  
27 who have asked to connect and have been turned down.  
28 That's what you are saying. Right?

1 MR. HUNTLEY: That's correct.

2 MR. ELSON: Got it. I'm looking for a different  
3 number, which is the number and percent of your customers  
4 who couldn't connect a DER to your system, you know,  
5 regardless of whether they've made a request anymore. I'm  
6 not looking for a point-in-time no answer as to connection  
7 requests but the number of customers who have the ability  
8 to connect versus who don't have the ability to connect.

9 MR. HUNTLEY: We can take that as an undertaking.

10 MR. ELSON: Thank you.

11 MR. MURRAY: That will be undertaking JT2.2.

12 **UNDERTAKING JT2.2: TO PROVIDE THE NUMBER OF CUSTOMERS**  
13 **WHO HAVE THE ABILITY TO CONNECT A DER TO THE SYSTEM,**  
14 **VERSUS THOSE WHO DO NOT HAVE THE ABILITY TO CONNECT.**

15 MR. ELSON: So, we would then also have a request,  
16 probably by way of an undertaking, to answer part B of this  
17 interrogatory, which is to estimate how many and what  
18 percent of Toronto Hydro customers will still be unable to  
19 connect a DER to the system due to capacity constraints by  
20 2029, after the additional investments by Toronto Hydro.  
21 It doesn't have to have a precise answer. But an answer on  
22 a best-efforts basis. Can you undertake to provide that as  
23 well?

24 MR. HUNTLEY: Can you clarify the question again,  
25 please, Mr. Elson?

26 MR. ELSON: Yes, and I'll take one step back. We've  
27 just received an undertaking to let us know how many  
28 customers are unable to connect a distributed energy

1 resource. And so, in addition to that, my question is,  
2 after you have made all the investments that you plan to  
3 make between now and 2029 on a best efforts basis, at that  
4 point how many and what percentage of customers will still  
5 be unable to connect to DER. Again, I know you can't  
6 provide that answer with perfect specificity, because there  
7 will be unknowns, you will have to make some sort of  
8 assumptions, but what I'm trying to determine is, how many  
9 are unable to connect now, and then how many will be unable  
10 to connect after you have made investments in your system  
11 so I can determine, you know, how many have been resolved  
12 in a sense.

13 MR. KEIZER: Sorry, can I just ask a question, just a  
14 clarification of the undertaking? When you talk about  
15 customers being connected to DERs, is your assumption that  
16 every customer will want to connect to a DER? So, in other  
17 words, if there is, you know, constraints for whatever  
18 reasons, short circuit or otherwise that you're asking us  
19 to count all of the customers in that area? Is that what  
20 you're asking for?

21 MR. ELSON: I'm not making assumptions. I'm asking a  
22 question. And the question is the number of people or  
23 customers, I should say, Toronto Hydro customers that are  
24 unable to connect now, and the number and percent that will  
25 be unable to connect after you've made the investments that  
26 you plan to make between now and 2029.

27 MR. KEIZER: And, sorry, the reason I ask that  
28 question was, and just to make sure we're all talking about

1 the same thing, in response to A, that this represents  
2 approximately 5 percent of Toronto Hydro's system. I'm not  
3 sure what that -- whether that means 5 percent of the  
4 customers or whether that's 5 percent on a technical, you  
5 know, system-wide basis as opposed to a customer basis. I  
6 just want to make sure that we're all talking on the same  
7 level.

8 MR. ELSON: Got it. Talking about percentage of  
9 customers as opposed to, for example, percentage of peak  
10 demand or something like that?

11 MR. KEIZER: Yes, exactly. Or percentage of, you  
12 know, facilities or something, I'm not sure. So, maybe Mr.  
13 Huntley can clarify that, just so that we make sure we're  
14 able to do what Mr. Elson is asking to do.

15 MR. HUNTLEY: For the purposes of the undertaking,  
16 currently Toronto Hydro publishes a list of restricted  
17 feeders, and those feeders have customers associated with  
18 them. So, the assumption will be that the customers on  
19 those feeders, should they choose to connect to DER, would  
20 be unable to do so today. That would be the assumption we  
21 apply to satisfying the undertaking that you are  
22 requesting. And, of course, those customers would be a  
23 subset of the remaining population of Toronto Hydro  
24 customers. Would that be satisfactory?

25 MR. ELSON: That's exactly what I'm looking for and I  
26 think you've given that undertaking in A, and it would be  
27 helpful, and I think this was part of the undertaking, for  
28 the total number and as a percent of customers. I can do



1 the math too, but you're more likely to do it accurately  
2 than I am.

3 So, my next follow-up question was for an estimate of  
4 the number and percent of Toronto Hydro customers that will  
5 still be unable to connect to DER by 2029.

6 MR. HUNTLEY: Mr. Elson, with respect to satisfying  
7 the requirements of your second question, just so we're  
8 clear, what we will be able to do is basically take the  
9 customer base that we have today in terms of the DER  
10 population, and extrapolate that against the investments  
11 that we will make according to the plan, and provide you  
12 with the impact of reduction and constraints on that  
13 population that we have today. Would that be satisfactory?

14 MR. ELSON: Yes, thank you, and I think the  
15 distinction there is you're not going to be accounting for  
16 customer growth, which is fine.

17 MR. HUNTLEY: That is correct.

18 MR. ELSON: Thank you.

19 MR. MURRAY: That will be undertaking JT2.3.

20 **UNDERTAKING JT2.3: TO PROVIDE THE RESULT OF**  
21 **CALCULATION OF TAKING THE CUSTOMER BASE TODAY IN TERMS**  
22 **OF THE DER POPULATION, AND EXTRAPOLATE THAT AGAINST**  
23 **THE INVESTMENTS TO BE MADE ACCORDING TO THE PLAN, AND**  
24 **PROVIDE THE IMPACT OF REDUCTION AND CONSTRAINTS ON**  
25 **THAT POPULATION THAT WE HAVE TODAY.**

26 MR. ELSON: That's very helpful. Thank you. On to  
27 part C of this interrogatory. We'd ask for a table showing  
28 the feeders, whether they're constrained, how many

1 customers are attached to each, and whether the constraint  
2 is a short circuit or thermal. You referred us to a  
3 section in your evidence. I was looking at that evidence  
4 and it seems to only list feeders that have short circuit  
5 constraints. Do you also have feeders with thermal  
6 constraints, such that DERs can not attached?

7 MR. HUNTLEY: Not at this time.

8 MR. ELSON: Not at this time. Okay. So, why is that?  
9 Why would some utilities have thermal constraints, and  
10 Toronto Hydro not?

11 MR. HUNTLEY: There can be a couple of reasons. First  
12 of all, not all the DER capacity that's connected to the  
13 system is meant to export to the grid. A portion of it is  
14 for emergency generation. So, those will not have an  
15 impact on the thermal constraints of the grid itself.  
16 Predominantly, the penetration of DER in the Toronto Hydro  
17 grid has been in the micro range by volume of connections.  
18 So, from a thermal perspective, the penetration levels are  
19 not significant enough yet to be a thermal issue.

20 MR. ELSON: That's helpful. Do you anticipate  
21 reaching thermal limits between now and 2029, in terms of  
22 the DERs?

23 MR. HUNTLEY: At this time our forecast do not  
24 indicate that that's an issue.

25 MR. ELSON: Got it. And, mostly that would be  
26 exporting generation, so it would not a need a lot of  
27 solar, for instance?

28 MR. HUNTLEY: That's correct.

1 MR. ELSON: Okay. If we could turn to 2B-ED-07. And  
2 what I'm trying to get at here is whether, I guess, your in  
3 service additions but more so your going forward capital  
4 spending is sized for future electrification of buildings.  
5 I'm not necessarily saying that it needs to be or should be  
6 or shouldn't be, but it's an issue that we're trying to  
7 explore. And so, I had difficulty getting information on  
8 this through the interrogatories, and so I'm going to give  
9 it a shot through the technical conference now.

10 In terms of new connections, how do you know or how do  
11 you prepare for connections depending on whether they are  
12 going to be heated by gas versus electricity, at a sort of  
13 high level?

14 MS. NARISSETTY: Thank you, Mr. Elson. So from a  
15 connections point of view, and Toronto Hydro facilitating  
16 that connection, it truly doesn't matter what's behind the  
17 meter and what's causing the customer to increase or  
18 decrease their demand. We look at the peak demand that the  
19 customer is requesting, and we enable that.

20 MR. ELSON: Well, let me ask you this question: Let's  
21 take a typical condo, which I assume is a lot of your new  
22 connections. Can you provide me with a high-level  
23 differentiation between the winter peak demand for one that  
24 is served by gas and one that is served by heat pumps? It  
25 doesn't need to be -- you can provide a high end or a low  
26 end, some sort of sense of the differing impacts?

27 And what I'm getting to is not the specific answer to  
28 that question, but a broader issue about how you are

1 preparing for the potential electrification in relation to  
2 what you're spending over the next five years. So if you  
3 take, you know, a typical condo building, what's the  
4 difference in terms of the peak impact on your system?

5 MR. HUNTLEY: Mr. Elson, with respect to the  
6 distribution system plan, and the peak demand forecast that  
7 underpins that plan, we have said in our prefiled evidence  
8 that we have not specifically modelled the decarbonization  
9 of heat as an input into that particular plan.

10 The reason we did that is because we have been  
11 investing in the system for a number of years. And Toronto  
12 Hydro remains a summer peaking utility, and we anticipate  
13 that it will remain so for this rate period.

14 Recognizing the fact that the winter by its very  
15 nature, the ratings available in the winter are more than  
16 we have available in the summer. We felt that the plan is  
17 robust enough to accommodate the growth in building  
18 electrification in the near term, for this rate period.

19 Hence, we have not specifically modelled building  
20 electrification or taken it into account in the development  
21 of the plan.

22 MR. ELSON: What I'm asking about is whether you know  
23 that you're right-sizing your assets, not only for the  
24 electrification that will occur over the next five years,  
25 but the electrification that will occur over the lifetime  
26 of the assets. How do we know that?

27 MR. HUNTLEY: As we've outlined in Exhibit 2B, section  
28 D4, we have extensively discussed our approach -- our

1 least-regrets approach that underpins our plan, and gives  
2 us confidence that the plan that we have put forward  
3 represents the correct balance of investments to provide  
4 long-term value for the ratepayer, while at the same time  
5 preparing the grid for electrification in the decades to  
6 come. And we support that through our prefiled evidence,  
7 as well, that underpins our grid modernization strategy in  
8 Exhibit 2, section D5.

9 MR. ELSON: Okay. I am going to follow up on that,  
10 because it comes up again in another interrogatory I want  
11 to ask you about. But sticking with ED 7, one of the  
12 questions that we are wanting to answer is if let's say, as  
13 a scenario, all of your new connections for the last three  
14 years of your plan were to be all electric. What would be  
15 impact be, and could you provide the electricity needed?

16 MR. KEIZER: I think first you would have to ask  
17 whether that's a realistic scenario, because it's a  
18 hypothetical that's not necessarily on any factual basis.

19 MR. ELSON: Well, if we had a long time, I would love  
20 to have the discussion about what the different scenarios  
21 might look like. And I think there's a differentiation  
22 between a realistic and a possible scenario or the most  
23 likely scenario, I'm not asking anyone to say what is the  
24 most likely scenario. What I'm trying to look at is get  
25 some sort of numbers behind the degree of readiness that  
26 you folks have.

27 I can take a step back. My understanding from the  
28 interrogatory responses is that there's about a 650-

1 megawatt spread between your summer and your winter peak.  
2 To me, that's a lot of space, and what I am trying to get a  
3 grasp of, with a little more specificity from you folks, is  
4 how much can you add to the system.

5 It may be that you would say look, if everybody wanted  
6 to connect with electric buildings in the last three years  
7 of our plan, we would still be well within the spread  
8 between summer and winter peak. That's the kind of  
9 information that I am looking for.

10 MR. HUNTLEY: Mr. Elson, firstly, Toronto Hydro has  
11 not modelled that scenario. Any hypothetical scenarios  
12 that may materialize, we have addressed that through the  
13 future energy scenarios.

14 The plan itself represents what we think is the most  
15 realistic and prudent approach to electrification. But  
16 should your hypothetical scenario unfold in some way, we  
17 have proposed the use of a demand-related variance account  
18 to provide flexibility for uncertainty as a result of  
19 electrification.

20 So incremental investments above or below the plan  
21 that may be triggered by any of the scenarios you may  
22 describe will be managed through that account, through the  
23 use of that account.

24 MR. ELSON: Okay. And I think implicit in that answer  
25 is that you would be able to connect the customers; you  
26 would be prepared, you could connect them. It wouldn't be  
27 a problem. You wouldn't be saying no you can't build that  
28 building, you have to wait for a year until, you know, we

1 can take other special steps. Is that correct?

2 MR. HUNTLEY: The timing of the specific investment  
3 when it can be actually connected is not a specific  
4 commitment we can make at this time. It depends on the  
5 local conditions, and the capacity available at the grid at  
6 the point of that connection.

7 What I think is important is that Toronto Hydro will  
8 take appropriate steps to ensure that we can meet the needs  
9 of the customer that requires that connection.

10 The timing, though, we cannot make a commitment to the  
11 timing.

12 MR. ELSON: So if all new development in the last  
13 three years of your plan says we want to go electric,  
14 that's the way to go, you would be able to handle that from  
15 a feasibility perspective?

16 MR. HUNTLEY: Mr. Elson, the plan before the Board  
17 does not contemplate that scenario. We update our  
18 forecasts annually, and we are able to track the evolution  
19 of specific drivers with respect to electrification or  
20 connections, and we're prepared to adjust as needs arise  
21 and the plan evolves.

22 MR. ELSON: Okay. That's, I think, helpful. When I  
23 asked my question, I saw some members of your panel  
24 nodding, so I think the answer is: Yes, it would be feeble  
25 to connect customers in that scenario because you would  
26 adjust. Is that what you're saying?

27 MR. HUNTLEY: What I'm saying, Mr. Elson, is that we  
28 are committed to making connections and removing barriers

1 to electrification.

2 MR. ELSON: Okay. To me, what you're saying is,  
3 "We'll try," and I see other panel members nodding their  
4 heads, which suggests a yes. Maybe I am drawing a false  
5 distinction here, but, you know, I think the answer is, if  
6 people -- you know, in that scenario, yes, you would be  
7 connecting those customers.

8 MR. HIGGINS: Maybe I'll try to put a fresh spin on  
9 this, Mr. Elson. As my colleague discussed, the plan that  
10 we have before the Board contemplates a certain forecast,  
11 and we've set our various access and service budgets  
12 accordingly. To the extent that that forecasts changes in  
13 a way that impacts any of those programs, whether it is  
14 long lead-time investments in stations expansion or  
15 immediate connections investment needs, we would adjust our  
16 outlooks and our profiles accordingly to accommodate.

17 At the end of the day, we're obligated to connect  
18 customers when they come to the system, and it's a little  
19 more nuanced than saying yes or no. It depends on the  
20 particular circumstance. In most situations, we can  
21 accommodate a customer even if there are restrictions. It  
22 may just take longer and be more expensive if we haven't  
23 built infrastructure in advance. So it's a spectrum of  
24 possibilities, and, again, if that hypothetical scenario  
25 were to materialize, we would have a different plan to  
26 address that.

27 MR. ELSON: Okay. Thank you. Now, I would like to go  
28 back to your comment about summer and winter peaking, and



1 it would be very helpful for me to have some sort of  
2 quantification of how much electrification of new  
3 connections you could fit within the delta between your  
4 summer and your winter peak.

5 My understanding is that the delta is roughly 650  
6 megawatts. If you were -- and this isn't a hypothetical  
7 meant to be something that's going to happen but just to  
8 get some sort of number, and, if you want to give me a  
9 different quantification, that's fine.

10 If you were to have all of your customer connections  
11 over the next five years be electrified heat instead of  
12 gas, can you give me a sense of what the additional winter  
13 load would be and whether you would then become winter  
14 peaking or whether you could fit it within the delta there?

15 I'm happy for an answer full of caveats and maybe a  
16 high or low estimate because I know you can't do that kind  
17 of thing with precision. I'm just trying to get some  
18 sense, with numbers, you know, what you can fit within that  
19 delta between summer and winter peak.

20 MR. HUNTLEY: Mr. Elson, could you clarify that  
21 scenario again? It was fairly broad.

22 MR. ELSON: You can frankly pick the scenario you  
23 want. What I'm trying to get at is your comment about  
24 feeling comfortable about the future of building  
25 electrification because you're currently a summer peaking  
26 jurisdiction versus a winter peaking jurisdiction. My  
27 understanding is that the delta between the two is about  
28 650 megawatts, and I'm trying to get an idea of, you know,

1 how many of your new connections could be electrified  
2 before it uses up, let's say, that delta, such that you  
3 switch to a winter peaking.

4 So I had proposed looking at it from the perspective  
5 of, well, what if all of your connections came in over the  
6 next five years as being electrified heating versus gas  
7 heating. But you could pick whatever scenario you want. I  
8 just want some numbers as opposed to, you know, the sort of  
9 high-level sense of things.

10 MR. HUNTLEY: We wouldn't be able to provide that to  
11 you, Mr. Elson. We have provided the spread between the  
12 summer and winter. At the moment, I think that stands at  
13 341; it's not 600. We clarified that in an IR. And, in  
14 terms of the combination of technology that would make up  
15 that particular spread, we're unable to provide that at  
16 this time.

17 MR. ELSON: In other words, you can't predict the  
18 peak loads. I mean this is the thing that worries me, is  
19 that Toronto Hydro throughout the interrogatory responses  
20 wasn't able to say, well, how much more will the peak load  
21 be for a building that is heated by gas versus electricity,  
22 even at a high level, high/low estimate. I mean those are  
23 the kinds of numbers without which I don't see how you can  
24 be ready for different possible futures.

25 MR. HUNTLEY: Like we said, Mr. Elson, in response to  
26 the earlier portions of your question, with respect to the  
27 decarbonization of heat, it is a relatively new driver that  
28 still has several policy considerations in flux, that make

1 it difficult to forecast in terms of its impact on peak  
2 demand that would be material to this plan.

3 In the near term, we are of the view that there is  
4 sufficient capacity on the grid to accommodate near-term  
5 growth with respect to the decarbonization of heat.  
6 Modelling that beyond this rate period is not an exercise  
7 that we have done thus far, but going forward, depending on  
8 how we see that particular driver evolve, we will adjust  
9 our plans accordingly to accommodate accelerated growth,  
10 should it be necessary.

11 MR. ELSON: My concern -- and I understand your  
12 answer, and I hear what you're saying, and I've heard it.  
13 My concern is about the right-sizing of assets that you put  
14 in the ground over the next five years and, you know, I  
15 guess the high-level planning that you're doing at this  
16 stage, which has to do with connections over the next five  
17 years but, you know, really a more longer term demand  
18 forecast. I understand that forecasting is difficult to  
19 do, but -- I'm going to come back to this, and I'm going to  
20 move to ED 21 and maybe try to come at it from that  
21 perspective.

22 And, in ED 21, what we had asked was for an analysis  
23 of full electrification of heating and transportation on  
24 the specific investments you're making over the rate term.  
25 And really what this question is getting at is: You're  
26 about to spend a lot of money, and are you going to have to  
27 replace all those assets maybe in 10 years but before the  
28 end of their natural life if we see full electrification of

1 transportation and heating before the end of the life of  
2 the assets?

3 And you weren't able to provide an answer, and that's  
4 fair, I understand it's not an easy question.

5 And so, what I would like to ask for an undertaking is  
6 for something less than what we have in ED-21. And it may  
7 mean that we need to have a bit of back and forth as to  
8 what you can provide.

9 One thought that came to my mind was to specifically  
10 look at the top five capital projects over the rate term,  
11 and then the high and low, and demand scenarios involving  
12 full electrification, and whether those capital assets  
13 would be ones that can handle full electrification before  
14 the end of their natural life, and if not, you know, when  
15 you would have to prematurely retire them?

16 MR. HUNTLEY: With respect to your question, Mr.  
17 Elson, we're not of the view that it actually requires an  
18 undertaking for these reasons: The expansion investments  
19 that Toronto Hydro is making to underpin the current plan,  
20 they're driven, in large part, by municipal development.  
21 And we have flagged two specific areas in the current plan  
22 that are subject to municipal development. The size of the  
23 assets --

24 MR. ELSON: What do you mean by municipal development?

25 MR. HUNTLEY: Development of the Downsview area, the  
26 Port Lands area, and further out the development of the  
27 Golden Mile area in Scarborough.

28 MR. ELSON: And so, are you talking about city owned

1 buildings or you are talking about -- what do you mean by  
2 that, exactly?

3 MR. HUNTLEY: We're talking about development  
4 secondary plans that are currently filed with the city.

5 MR. ELSON: Okay. Yes, thank you. Sorry to interrupt  
6 you.

7 MR. HUNTLEY: So, there is a high level of certainty  
8 around those developments being connected to the Toronto  
9 Hydro grid. The assets that we are targeting or the areas  
10 we're targeting for investment in the areas of stations  
11 expansion, specifically align with those areas of  
12 development.

13 So, from the stand -- from the point of view of where  
14 the plan sits, we are not -- we are not of the view, at  
15 this point in time, that those assets will be undersized or  
16 oversized. We have right-sized the plan to accommodate  
17 those developments.

18 But we've also stated throughout our evidence that the  
19 use of the demand variance account will ensure that we are  
20 flexible to respond to changes in not only those areas, but  
21 in other areas of the city that may experience accelerated  
22 development that we have not forecasted for at this point.

23 Secondly, we're currently in the third cycle of  
24 regional planning with the IESO that takes a 20-year view  
25 of development across the city, and those investments are  
26 right-sized for various scenarios that underpin  
27 electrification or growth in other areas.

28 MR. ELSON: In terms of those -- was it two or three

1 major projects that you identified? It was Don Lands, Port  
2 Lands...

3 MR. HUNTLEY: With respect to the expansion  
4 investments that we have put forward?

5 MR. ELSON: Yes.

6 MR. HUNTLEY: We're particularly targeting the  
7 Downsview area.

8 MR. ELSON: Yes.

9 MR. HUNTLEY: We do have -- we have put forward an  
10 investment at Sheppard TS that addresses short circuit  
11 capacity for DERs.

12 MR. ELSON: Okay. Well, I mean, let's just take  
13 Downsview for an example. If all of the anticipated loads  
14 were to -- or customers, I guess I should say, were to  
15 electrify heating and transportation before the end of the  
16 life of the assets, would you need to replace those assets?

17 MR. KEIZER: So, are you saying that they should build  
18 the assets now in this plan to accommodate what might  
19 happen before the end of the life of the asset, is what  
20 you're saying, Mr. Elson?

21 MR. ELSON: I'm just asking questions at this stage.

22 MR. KEIZER: I understand you're asking questions, but  
23 I'm trying to attach it to the plan that is before the  
24 Board in this application and with respect to what the  
25 Board has to decide in the application.

26 MR. ELSON: Well, if you would like a preview, Mr.  
27 Keizer, you know, one of the reasons that's important is to  
28 determine, yes, whether the investments are right-sized

1 right now, you know, that's an important question, and  
2 right-sized for the future, and whether there will be the  
3 likelihood of, you know, premature retirement, when that  
4 might come up, how that would affect investment decisions  
5 over the next five years.

6 It could also be relevant to questions around efforts  
7 that Toronto Hydro should be making upfront to ensure that,  
8 you know, customers are connecting in the most efficient  
9 way to use their assets in the most efficient way.

10 It also relates to questions around non-wire  
11 solutions, because non-wire solutions can defer investments  
12 such that by the time you put them in place, you will have,  
13 you know, more insight around the energy transition and the  
14 degree of demand from electrification, or maybe, you know,  
15 none of those points are ones that are made. I don't know.  
16 What I'm looking for is some sort of indication of what  
17 full electrification would mean for the capital being put  
18 in the ground today.

19 So, I'll ask the specific question relating to  
20 Downsview, just as an example. If you were to have full  
21 electrification of transportation and heating, would you  
22 need to prematurely retire the assets that you are putting  
23 in the ground?

24 MR. HUNTLEY: The answer is no.

25 MR. ELSON: Thank you. How do you know that?

26 MR. HUNTLEY: Based on the initial estimates with  
27 respect to the development of Downsview, we have been  
28 provided with peak demand estimates for a period of at

1 least 15 to 20 years. And those estimates significantly  
2 exceed the assets that we are investing in today.

3 Now, the reason that we have confidence in the plan  
4 that we have put forward is because those investments are  
5 made in increments. We have made incremental investments  
6 to follow the development of the plan.

7 So, unless the plan gets cancelled all together, that  
8 really is the only scenario that we see could alter the  
9 trajectory of the investments we're undertaking at this  
10 point.

11 MR. ELSON: Okay. So, that's good to hear. And just  
12 to clarify what you're saying is that in that Downsview  
13 area, if there were to be full electrification of all  
14 transportation and heating, you would not need to be  
15 prematurely retiring the assets in that neighbourhood as a  
16 result of the electrification occurring before the end of  
17 life of the assets?

18 MR. HUNTLEY: That's correct. That was my answer.

19 MR. ELSON: Thank you. What about for, let's say, the  
20 other top four projects in your plan. Can you say the same  
21 thing?

22 MR. HUNTLEY: We apply a similar approach.

23 MR. ELSON: Now I know you apply a similar approach,  
24 and that's one of the reasons that I'm a bit confused,  
25 because you're talking about planning out 20, you know, 15  
26 and 20 years, and that doesn't include a plan for full  
27 electrification. That's just a forecast, which is  
28 different from what I am asking about, which is whether



1 those major capital investments can handle full  
2 electrification of the customers connected to them before  
3 the end of life of the assets?

4 MR. KEIZER: Sorry, while the witness is conferring, I  
5 will just clarify timing in term of the break, as well.

6 MR. ELSON: Yes. I've been looking at that as well.

7 MR. MURRAY: It was on my list to ask you after this  
8 line of questioning.

9 MR. ELSON: That was when I would like to take a  
10 break, but maybe continue on for -- maybe this will be the  
11 question that ends it, but -- or the answer that allows us  
12 to move on.

13 MR. HUNTLEY: Could you repeat the question, Mr.  
14 Elson?

15 MR. ELSON: Sure. With respect to let's say the top  
16 five capital projects, if the customers connected to those  
17 assets, all of them were to electrify space heating and  
18 transportation before the end of life of the assets, would  
19 you need to prematurely retire those assets before the end  
20 of their life?

21 MR. HUNTLEY: I think it's helpful, Mr. Elson, to  
22 clarify a few things. With respect to the planning  
23 approach that we used to underpin this plan and how we  
24 specifically address electrification, we approach it using  
25 a range of tools to guard against some of the things that  
26 you have outlined.

27 First of all, we make incremental investments to meet  
28 peak demand. Our plans are responsive to peak demand and

1 our forecasts. Likewise, we augment that plan with demand  
2 response, for example, that allows us to defer investment  
3 or right-size equipment to accommodate particular demand  
4 drivers. And we continue to evolve in this space with  
5 respect to annual updates to our forecast, to understand  
6 the impact of drivers.

7 We augment our planning with tools like the future  
8 energy scenarios that gives us insight into the longer term  
9 view of what types of investments we can make that would  
10 permit the maximum long-term value for the ratepayers.

11 MR. ELSON: I'll have some follow-up questions, but I  
12 think we should take the break.

13 MR. MURRAY: Thank you, Mr. Elson. We'll come back at  
14 11:15.

15 --- Recess taken at 10:58 a.m.

16 --- On resuming at 11:21 a.m.

17 MR. MURRAY: Mr. Elson, perhaps we can continue with  
18 the questions.

19 MR. ELSON: Yes. Are we on air?

20 MR. MURRAY: Yes, I believe we are.

21 MR. ELSON: Thank you. We were discussing before the  
22 break some of your strategies to avoid needing to  
23 prematurely retire assets due to electrification. One of  
24 those strategies was ensuring that you can make capacity  
25 increases in sort of an incremental way. What kind of  
26 assets don't lend themselves to that kind of incremental  
27 approach?

28 MR. HIGGINS: There's no particular type of asset or

1 asset class that would not lend itself towards an  
2 incremental approach. I think generally with a design  
3 philosophy of our system, especially in a dense, congested  
4 area that we operate in, Mr. Elson, we would be designing  
5 things in such a way that there is the opportunity to  
6 incrementally expand over time.

7 MR. ELSON: Well, maybe as not on an asset-by-asset  
8 basis, but what are some of the scenarios in which you  
9 can't just make an incremental investment and you need to  
10 retire the old one?

11 MR. HIGGINS: I guess I'm just struggling again with  
12 the hypothetical nature of the question. I think both  
13 myself and my colleagues are. It is certainly feasible  
14 that an asset gets replaced before it has fully depreciated  
15 as a result of demand considerations or any number of  
16 considerations. There's no generic situation tied to  
17 electrification that, you know, I think we could generalize  
18 about. There's always that possibility that something may  
19 need to be replaced earlier because there's a capacity  
20 need. That does happen. But, you know, that's kind of the  
21 extent of it.

22 MR. ELSON: Well, let's go through some examples,  
23 then. One example that occurs to me is, you know, a pole-  
24 mounted transformer on the street level, if the houses  
25 connected to it are exceeding its capacity, you would have  
26 to replace it even if it is before the end of the life, or  
27 do you have other strategies?

28 MS. NARISSETTY: In that specific example, you know, we

1 have pole-top transformers on a residential street,  
2 perhaps, feeding a bunch of customers, and, if the  
3 transformer is new, then maybe we'll put up another  
4 transformer on an adjacent pole. So this way you have two  
5 transformers feeding a bunch of customers rather than one  
6 and retiring the first one.

7 MR. ELSON: What about your conductors? I assume you  
8 can add more conductors to a pole, and the situation when  
9 you can't take that incremental approach is when your  
10 structure or whatever, whether it's a pole or otherwise,  
11 can't handle more conductors. Is that right?

12 MS. NARISSETTY: Could be a possibility. However,  
13 we'll still look for ways to maximize existing assets. So,  
14 for example, if the height of the pole is such that it  
15 cannot take more secondary conductors, we will supply a  
16 customer who is requesting a higher demand through an  
17 underground dip, which doesn't require, you know, that pole  
18 to be replaced, for example, and you just put an  
19 underground service to that new customer.

20 MR. ELSON: And I guess, if you're talking about, you  
21 know, a substation that's before the end of its life, if it  
22 reaches capacity and you don't have anymore space, then  
23 that's a difficult situation to remedy without replacing  
24 the existing equipment. Is that fair to say?

25 MR. HUNTLEY: Well, while that remains a possibility,  
26 our practices and our design philosophy would be to build  
27 out. Basically, if a substation has been fully utilized,  
28 we would seek to build a new substation.

1 MR. ELSON: Okay. One of the ways, possible ways, to  
2 -- well, let me ask a question before proposing something  
3 to you. Right now, are you tracking premature replacement  
4 of assets on an asset-by-asset basis?

5 MR. HIGGINS: For financial purposes, there's a  
6 certain level of tracking as projects get closed out, to  
7 build up whatever the claimed de-recognition expense would  
8 be for a given year, so there is some tracking done for  
9 those particular purposes.

10 MR. ELSON: And so would you be able to, for example,  
11 at this stage pull up a spreadsheet and say here are the  
12 assets that over the previous five year term have been  
13 replaced prematurely or before the end of life, I should  
14 say. "Premature" has a bit of a connotation to it, and I  
15 just mean before the end of its natural life.

16 MR. HIGGINS: Mr. Elson, we do in evidence have the  
17 de-recognition expense amounts by asset class, which we can  
18 point you to if that's helpful. In terms of the specific  
19 list of assets, that would be a little bit more of a  
20 challenge to produce. I won't get into the nitty-gritty  
21 details of the information systems, but, at a certain  
22 point, the linkage between what particular asset was  
23 replaced and the original reason for replacing it and the  
24 project and all of that sort of, as the project is  
25 completed and the assets are taken out of service, some of  
26 that information is not organized in a way that would make  
27 it easy to bundle up. So, while an asset or an account or  
28 something could probably be produced with some effort, any

1 insight into and breakdown into why those assets were  
2 replaced at that time would be likely infeasible to do  
3 within the timelines of this proceeding.

4 MR. ELSON: All right. Okay, that's fine. Could you  
5 undertake to provide a table with the 10 most expensive  
6 before-end-of-life retirements, and have a column for why  
7 the asset was replaced before the end of life, and how to  
8 avoid that happening going forward, if there are ways to  
9 mitigate?

10 MR. HIGGINS: Sorry for the lengthy -- it's just this  
11 is a very kind of nuanced data issue, so we're just  
12 discussing what might be possible.

13 Just a note off the top, you know, there's a number of  
14 different reasons why assets would have de-recognition  
15 expense attached to them, why they would be replaced  
16 prematurely from a financial useful life perspective, most  
17 of which are going to be related to various drivers, like,  
18 you know, if we're converting a 4kV feeder, just for  
19 standardization reasons, there may be assets within that  
20 area that are not yet fully depreciated, but nonetheless  
21 need to be replaced for design considerations. There's  
22 also, I think, one of the biggest drivers of the de-  
23 recognition for us, subject, obviously, to looking at the  
24 details, would be the externally initiated plant  
25 relocations program, where we've got new subway lines being  
26 built and things like that, which require the relocation of  
27 lots and lots of assets. And there's, you know, those  
28 projects not at all triggered by consideration for age or

1 condition.

2 So, it's not -- you know, it's not as well as, sorry,  
3 I should mention reactive, like, assets will fail before  
4 their end of useful life. So, that's a big driver as well.

5 So, you know, we're just discussing whether or not it  
6 might be possible to find the assets with, I think, your  
7 formulation, Mr. Elson, was the ten most expensive or  
8 costly, I guess would be from the perspective of the amount  
9 of de-recognition or would it be the cost of the asset that  
10 you're looking for?

11 MR. ELSON: I mean the ten largest in terms of cost,  
12 so presumably that's the price of the asset. You can  
13 interpret it in different ways if your data system has  
14 other figures. It wouldn't be -- the cost in terms of the  
15 remaining life of the asset, I guess you could do it that  
16 way. Whatever is easy from your system. I'm just trying  
17 to pick a sample set. So, the ten largest in terms of  
18 cost, whether that be the initial cost or whatever is  
19 undepreciated at that moment. And happy to have it on a  
20 best efforts basis so that we can move on and you can do  
21 what you can do.

22 And I just would add a caveat that the information you  
23 provided is helpful, we're not looking for assets that are  
24 retired just because they have broken before you expected  
25 them to, or assets where they've been externally motivated  
26 as you say. Moreso where you've had to replace them, you  
27 know, because you have demands on the system in terms of  
28 capacity or design reasons.

1 MR. KEIZER: Maybe, just in light of the fact that  
2 this is taking a lot of consideration, Mr. Elson, which is  
3 a difficult thing. I think part of it is trying to  
4 understand what data sets there are and what's not. And I  
5 think it is, by the fact if it was readily available,  
6 people would be able to indicate that it was. So maybe the  
7 best --

8 MR. ELSON: Maybe that's what your panel is come to  
9 the conclusion of right now.

10 MR. KEIZER: I don't know if they have come to  
11 conclusion.

12 MR. ELSON: I see some nodding.

13 MR. KEIZER: Let's let them come to a conclusion --

14 MR. HIGGINS: Yes, I don't think we're going to be  
15 able to, just given the nature of the data that we're  
16 talking about, we're going to be able to pinpoint drivers  
17 of the replacement to the exact value. It's going to be --  
18 I don't think the links are going to be readily available  
19 to do that kind of categorization without significant  
20 manual effort, so, unfortunately, I don't think that's a  
21 feasible analysis.

22 MR. ELSON: So, you can't even pick a sample of, you  
23 know, five?

24 MR. HIGGINS: We could figure out on some basis what  
25 the five most -- you know, and, again, I'm not sure what  
26 the cost variable should be here, but we could somehow list  
27 the top five assets, but whether or not that premature  
28 replacement is related to a capacity consideration would be



1 the kind of thing where it would take -- I mean, if you're  
2 looking for examples that are driven by capacity, I'm not  
3 sure how we would find those examples without significant  
4 effort.

5 MR. ELSON: Yes, that's fine. I'll move on to, you  
6 know, what's actually my main point, which is: How  
7 feasible would it be, on a going forward basis, to be  
8 tracking premature retirements due to, you know, a capacity  
9 driven premature retirement, doing that on a going forward  
10 basis? You can provide an undertaking, maybe, because...

11 MR. KEIZER: We're very intent on resolving the issue,  
12 Mr. Elson. But I think what we'll do is to the extent that  
13 we can provide a response, we will, and if we can't, then  
14 we will advise why we can't.

15 MR. ELSON: Sounds good.

16 MR. MURRAY: That will be undertaking JT2.4.

17 **UNDERTAKING JT2.4: TO ADVISE THE FEASIBILITY OF**  
18 **TRACKING CAPACITY DRIVEN FUTURE PREMATURE RETIREMENTS,**  
19 **LISTING THE REASONS FOR PREMATURE REPLACEMENTS, DE-**  
20 **RECOGNITION EXPENSES, TO THE EXTENT THERE ARE FURTHER**  
21 **REASONS THAN THOSE ALREADY CITED.**

22 MR. ELSON: And if you could, in that undertaking,  
23 list the reasons for premature replacements, what you call  
24 de-recognition expenses to the extent that there is more  
25 reasons than the ones you cited in testimony today, that  
26 would be helpful just to have a list. Thank you.

27 I have some more questions on that area, but I think I  
28 should move on and maybe come back to them, depending on

1 whether we have the time.

2 I'm going to move to some questions further to 2B-ED-  
3 13. Specifically, you know, we asked some questions about  
4 geothermal heating, and, you know, I think based on your  
5 interrogatory response and some of your discussions with  
6 Mr. Brophy yesterday, that you would agree that geothermal  
7 heating, generally speaking, for particularly some of the  
8 new large buildings, would reduce the summer peak through  
9 more efficient air conditioning, but increase the winter  
10 peak, and by peak I just mean for that building. Is that a  
11 fair characterization, typically speaking?

12 MR. HUNTLEY: From what I can recall, Mr. Elson, we  
13 did not study the specific impact of that, but with respect  
14 to the type of technology, that was consistent with  
15 publicly available information on how it behaves.

16 MR. ELSON: And that's fine. I wasn't asking for you  
17 to conduct your own, you know, original research on the  
18 topic, but that's, you know, Toronto Hydro's understanding.  
19 So that's sufficient for my purposes.

20 And so to me what that would mean is if a condominium  
21 would be connecting to your system, and were to be heated  
22 from geothermal as opposed to gas, that would actually be  
23 reducing your system peak as opposed to increasing your  
24 system peak because, again, your system peak in the summer.  
25 And geothermal would mean that you have less of a summer  
26 system peak, other things -- sorry, less of a summer peak  
27 from the building's perspective. Does that make sense to  
28 you?

1 MR. HUNTLEY: That appears consistent with publicly  
2 available information, yes.

3 MR. ELSON: Do you think it would be appropriate for  
4 you to encourage buildings to take that route as a way to  
5 reduce costs and reduce your system peak?

6 MR. HUNTLEY: I think, Mr. Elson, it's important to  
7 communicate that Toronto Hydro will take steps to remove  
8 barriers for electrification. From a grid capacity  
9 perspective, and from the point of view of the plan, we  
10 will ensure that capacity is available to achieve those  
11 objectives.

12 Advocacy with respect to specific technologies is  
13 appropriately handled by our non-rate-regulated portion of  
14 the business that has been put together to communicate  
15 those specific objectives to customers. And should that  
16 particular technology offer grid benefit, or customer  
17 benefit, to the extent that it will, that particular group  
18 will manage that.

19 MR. ELSON: That would be managing communication. But  
20 if, you know, a customer decision is providing grid  
21 benefit, wouldn't it be appropriate for your regulated  
22 division to encourage that either financially or otherwise,  
23 because it's providing a financial benefit to all  
24 ratepayers.

25 MS. MARZOUGH: Thanks for the question. So I'm sure  
26 that you've taken a look at our non-wire-solutions  
27 narrative that's in exhibit 2B, section E7.2, where we  
28 describe our current application of non-wires, where we do

1 go out and procure capacity to meet our system needs. And  
2 we communicate that out when and where that type of non-  
3 wires approach can actually provide a system benefit.

4 So to the extent that, you know, these technologies  
5 can provide system benefit, we are looking at how we can  
6 leverage them.

7 MR. ELSON: Yeah, and you're talking about a reactive  
8 approach when you have a system need, and seeking non-wire  
9 solutions for that. And I am talking about something which  
10 is a little bit different, which is proactive when  
11 buildings are connecting to your system, and, you know,  
12 interfacing with builders at that point, either, you know,  
13 informationally or financially. Because, you know, once  
14 you build a building, it's quite difficult to make the  
15 transfer after the fact, and much -- particularly for  
16 geothermal, you really have to do that upfront.

17 MR. HUNTLEY: Mr. Elson, with respect to customer  
18 choices, the approach that we have put forward is early  
19 engagement with our customers to understand their needs.  
20 At this point in time, with respect to the plan that's  
21 before the Board, our early developer engagement informs  
22 our peak demand forecast.

23 To the extent the customer's choice may result in a  
24 particular peak demand profile, we attempt to understand,  
25 study and incorporate that in our plan. But we have not  
26 taken the position to advocate for a specific type of  
27 technology at this time.

28 MR. ELSON: I'm going move on a bit and ask a bit of a

1 broader question: My understanding is that you take the  
2 load factor as an output, and not something that you try to  
3 impact. Is that fair to say? And the reason I'm asking  
4 that question is because electrification can I would say  
5 increase and improve your load factor, and whether that's  
6 something that you should be focused more on?

7 MS. MARZOUGH: So our approach has been to go to  
8 market and seek solutions from customers, not necessarily  
9 ask them prematurely to install anything to address the  
10 load factor.

11 MR. ELSON: So demand response, basically?

12 MS. MARZOUGH: Yeah.

13 MR. ELSON: Got it. I mean, one of the reasons that I  
14 ask this question is that I know that ratepayers will often  
15 look at more distribution spending and think, this price is  
16 going up. But, in reality, it can be displacing fossil  
17 fuels, for example, and overall being a benefit to the  
18 customer, and overall using the wires more efficiently as  
19 you're getting more megawatt-hours going through those  
20 wires, if, for example, you add a whole bunch of loads at  
21 the nighttime, like through electric vehicles, so on and so  
22 forth.

23 To me, that's an important piece to track, which is  
24 the benefit that customers are getting from your wires, and  
25 something that haven't seen sort of communicated thus far.

26 So I am wondering if you would consider tracking, you  
27 know, distribution costs on a per megawatt-hour basis, and  
28 focusing on that as, you know, one of the indicators of the

1 value that you are providing to your customers?

2 MR. KEIZER: I think you are asking them for a  
3 corporate position that may not have yet been developed,  
4 and also a position you may make, ultimately, in argument.  
5 And it's not, you know, necessarily something that's  
6 related to the evidence that's before the Board in this  
7 application.

8 MR. ELSON: I mean, it's related in part as  
9 performance measurement, which is certainly part of this  
10 application. I would be happy to have you take it away by  
11 way of an undertaking to comment on it.

12 And Mr. Keizer, I would add that, frankly from my  
13 client's perspective, it would be a way for Toronto Hydro  
14 to show the value to its customers more clearly when there  
15 is electrification occurring, that customers are getting  
16 more benefit out of the existing system. As you have more  
17 megawatt-hours, you know, more energy delivered through the  
18 same wires, and that's energy that is displacing in many  
19 cases fossil fuels and so providing more benefit. I'm  
20 happy for you to take away by undertaking the question of  
21 whether you would want to track and target total  
22 distribution costs per megawatt-hour delivered.

23 MR. KEIZER: Can I just have a moment? So Toronto  
24 Hydro -- sorry, just one more second. All right.

25 So Toronto Hydro doesn't necessarily -- may or may not  
26 necessarily accept the premise of your question, but we  
27 will take away that undertaking and consider the position.

28 MR. ELSON: Thank you.

1 MR. MURRAY: That will be undertaking JT2.5.

2 **UNDERTAKING JT2.5: TO ADVISE ON TRACKING AND**  
3 **TARGETING TOTAL DISTRIBUTION COSTS PER MEGAWATT-HOUR**  
4 **DELIVERED.**

5 MR. ELSON: I would like to move to a bit of a more  
6 narrow question area, which may be brief, a question at 2B-  
7 ED-17, which is about smart switches. So this question is  
8 going to, you know, how to accommodate electrification in a  
9 way that will minimize distribution costs. When customers  
10 are putting in particularly, you know, electric vehicles,  
11 sometimes they will need to upgrade their panel in order to  
12 accommodate that load. The same, you know, can be said for  
13 electrified heating. And one of the solutions for that can  
14 be a smart switch, which means that you can share the  
15 panel, you know, the full panel's capacity, not upgrade  
16 your panel, and only provides as much power to the new  
17 device that's added in relation to what the other loads are  
18 doing on your panel.

19 I've described that poorly, but I know from the  
20 interrogatory response that you know what I'm talking  
21 about. I was just trying to get a grip on whether that  
22 would be helpful in terms of reducing overall distribution  
23 system costs, so maybe I can just start at the level of,  
24 you know, the pole-mounted transformer outside of someone's  
25 house. If you're able to avoid a panel upgrade, or  
26 multiple customers are able to avoid a panel upgrade, with  
27 a smart switch, does that contribute to a potential  
28 deferral of replacing that pole-mounted transformer, or are

1 they sized on a different basis?

2 MS. NARISSETTY: The energy management device, like a  
3 switch that you just described, yes, may prevent the need  
4 for a panel upgrade or other upstream upgrades to the  
5 conductor or potentially the transformer.

6 And, your second part of the question, if you don't  
7 mind repeating that?

8 MR. ELSON: I'm sorry. I think that did answer my  
9 question. So, if you don't need to upgrade your panel,  
10 then that could prevent the need for a transformer upgrade  
11 or a conductor upgrade.

12 But you would still be adding load to the system, and  
13 so how is it going to show up in your capital planning  
14 process? You know, when is the trigger the size of the  
15 panel as opposed to the actual, you know, coincident peak  
16 load of the customer?

17 MS. NARISSETTY: So it's the load for the customer that  
18 they supply to us when they are either looking for a  
19 connection or an upgrade that necessitates any upstream  
20 upgrades to the distribution system.

21 MR. ELSON: And I'm not even talking about upgrades  
22 triggered by the connection, itself, but the cumulative  
23 upgrades, you know. Because you're going to be having  
24 potentially a lot of customers trying to electrify, and, if  
25 they do so in a way where they avoid a panel upgrade, does  
26 that make a big difference? Does that make a big  
27 difference on a neighbourhood level?

28 For example, let's say it is served by the feeder or



1 the substation; do you still need to upgrade anyways, or  
2 does the avoidance of a new panel at the customer level  
3 help you reduce overall distribution system costs and by  
4 how much?

5 MS. NARISSETTY: So, if I can take you to our response  
6 to part D of this question, where I believe we've answered  
7 this question, and starting line 23, where the customer  
8 preferences today and the adoption rates for such devices  
9 is unknown and, yes, requires further experience for us to  
10 understand the impact on the broader distribution system.  
11 In this current rate period that we are in front of the  
12 Board for, this technology is not expected to have a  
13 material impact on our distribution capacity forecast.

14 MR. ELSON: Well, let me ask the question in a  
15 different way. How do you size a pole-mounted transformer,  
16 and when do you decide that it's not big enough?

17 Is it based on the actual demand profiles of the  
18 customers connected to that pole-mounted transformer or  
19 just the size of their panels?

20 MS. NARISSETTY: Number of customers.

21 MR. ELSON: The number of customers?

22 MS. NARISSETTY: Yes.

23 MR. ELSON: And the size of their panels?

24 MS. NARISSETTY: We don't track the size of panels. So  
25 We assign a representative load --

26 MR. ELSON: Yes.

27 MS. NARISSETTY: -- for the different customers. You  
28 know, there is a coincident peak calculation that occurs;

1 we look at that neighbourhood, and, based on that, the  
2 transformer is sized.

3 MR. ELSON: And how many customers do you typically  
4 attach to one pole-mounted transformer?

5 MS. NARISSETTY: It can vary depending on the  
6 neighbourhood. It can be anywhere from 10 to 30.

7 MR. ELSON: Okay.

8 MS. NARISSETTY: Maybe even higher in some cases, and  
9 it also depends on the size of the transformer.

10 MR. ELSON: But you're not doing a coincident peak  
11 load calculation for each group of 10 to 30 customers, are  
12 you?

13 MS. NARISSETTY: I'll have to check that.

14 MR. ELSON: Okay. Well, maybe I'll ask an undertaking  
15 that would include that, but I'll wait to see what we can  
16 work into it. So let's say that all of those customers --  
17 let's say one of those customers goes from 100 amps to 200  
18 amps; how do you know whether that requires a transformer  
19 upgrade?

20 MS. NARISSETTY: So, once the customer deems that they  
21 want to upgrade their panel, either the customer or their  
22 representative would contact Toronto Hydro, at which point,  
23 based on the information that we have available in our  
24 systems, we will determine if the conductor size is  
25 adequate enough to accommodate that increase, and, if it  
26 is, you know, it proceeds in that manner. But, if it's  
27 not, you know, the impact of that panel size upgrade is  
28 used to -- is accommodated through starting with a service

1 conductor upgrade or potentially even a transformer  
2 upgrade.

3 MR. ELSON: I know, but when do -- how do you decide  
4 whether the transformer needs to be upgraded?

5 MS. NARISSETTY: Based on the other customers that are  
6 connected to the transformer, too.

7 MR. ELSON: Based on -- well, I guess we are getting  
8 back the to that question that you weren't sure what the  
9 answer was, so maybe I'll ask for an undertaking more  
10 generally, which is how you size transformers and whether  
11 that's based on individual analysis of demand for the  
12 customers on those transformers or through other means, a  
13 more detailed explanation so that we can have a deeper  
14 understanding.

15 MS. NARISSETTY: Yes.

16 MR. ELSON: Can we have an undertaking number for  
17 that?

18 MR. MURRAY: That will be undertaking JT2.6.

19 **UNDERTAKING JT2.6: TO DESCRIBE HOW TRANSFORMERS ARE**  
20 **SIZED, WHETHER THAT IS BASED ON INDIVIDUAL ANALYSIS OF**  
21 **DEMAND OR THROUGH OTHER MEANS.**

22 MR. ELSON: Okay, thank you. Now, I'm afraid I'm just  
23 going to be asking the same question as we move up the  
24 system. So for, you know, the conductors that go around my  
25 neighbourhood, how do you size those? Are you sizing them  
26 based on an assessment of the historical demand of all the  
27 customers on those lines, you know, averages across the  
28 Toronto Hydro network, you know, the assumed size of our

1 panels? How does that work? And if you're not sure,  
2 undertaking is fine for that, as well.

3 MR. HIGGINS: So, at the circuit and feeder level, Mr.  
4 Elson, we would be leveraging feeder based analysis of  
5 loading using our SCADA system to figure out what the  
6 historical peak demand has been on that feeder.

7 MR. ELSON: Got it. So, when you're sizing feeders,  
8 then it's on historical peak demand. What about the  
9 conductors?

10 MR. HIGGINS: That would essentially be the same. I  
11 mean, if we're getting down to sections of the feeder, we  
12 would be looking at something more analogous to what my  
13 colleague just described, which is what are the counts of  
14 customers, what are the types of customers within those  
15 counts, assuming a sort of generic average load, applying a  
16 diversity factor to come up with a realistic peak demand  
17 and then using that kind of analysis to move forward.

18 MR. ELSON: Got it. Now, the way that you just  
19 described that is that the closer you get to the house, the  
20 less it's based on actuals as opposed to assumed averages  
21 is that correct?

22 MR. HIGGINS: That's directionally correct. We do  
23 have AMI information from our existing meters that can --  
24 is available to designers when they're at the design stage  
25 to help with that determination. However, because we're  
26 still on first generation smart meters the intervals are  
27 not necessarily granular enough to fully rely on that. So,  
28 it's a data point, but it's not necessarily something we

1 would rely on fully.

2 MR. ELSON: Yes, okay. And I'm trying to figure out  
3 how important this is to know, and I'm going to ask this  
4 question: Let's say that you have, you know, a street  
5 level transformer, it has got 10 customers attached to it.  
6 You can't answer this question on a definitive basis, but I  
7 would like your commentary on how likely it is that you're  
8 going to have to replace the transformer and the conductor  
9 if all of those customers put EVs in place and electrify  
10 their heating?

11 MS. NARISSETTY: So, Mr. Elson, if in a particular  
12 neighbourhood on a particular street, everyone decides to  
13 electrify, we will take the necessary steps, which is, you  
14 know, upgrade the conductors, maybe install new  
15 transformers to accommodate that additional load.

16 MR. ELSON: Got it. And so, you would anticipate that  
17 you would need a new transformer. And when I say  
18 conductors, I don't mean the service line, I mean the, you  
19 know, conductors running around the neighbourhood for lack  
20 of a technical term. You would anticipate you would need  
21 to replace the transformers and the distribution  
22 conductors?

23 MS. NARISSETTY: It truly is dependent on the  
24 neighbourhood.

25 MR. ELSON: It seems to me that you might want to be  
26 looking at that in ways that, you know, if customers are  
27 replacing panels now and making those kinds of decisions  
28 now, even at a very preliminary stage, to see what you can

1 be doing now to avoid the need to make some of those  
2 bigger, bigger kinds of additional investments.

3 MR. KEIZER: Is there a question there or just a  
4 position?

5 MR. ELSON: Yes, and I think they were about to  
6 comment on that.

7 MR. KEIZER: Are you asking them if that's the case?  
8 Is that what the question was?

9 MR. ELSON: To comment on my comment.

10 MR. HIGGINS: Sorry, we were just sort of discussing  
11 what the question might be, Mr. Elson, so maybe you can...

12 MR. ELSON: Sure. I'll ask it this way. What are you  
13 doing now to ensure that you'll minimize the amount of  
14 street level replacements of conductors and transformers  
15 in the event that you have full electrification of  
16 neighbourhoods? Or that example of 10 -- I know that's not  
17 happening today, but, you know, we want to be looking  
18 forward to the future, you know, the ten houses on the  
19 transformer are all electrifying their heating and their  
20 transportation.

21 MR. HIGGINS: Right. And so, maybe we can just zoom  
22 out a little bit. We did file a grid modernization  
23 strategy at section D5. Which has a couple of -- well,  
24 really all three pillars of the strategy speak in some way  
25 to this challenge that you're talking about. And so, that  
26 consists of intelligent grid strategy, which is essentially  
27 more switches, as well as importantly more visibility into  
28 the grid. Because right now I think like most utilities

1 that neighbourhood level grid edge visibility is somewhat  
2 limited by the available technologies.

3 And so, for example, a big piece of that is AMI 2.0,  
4 which we expect is going to give us the benefit of much  
5 greater visibility, but also other kinds of sensors and  
6 greater number of SCADA points on the system.

7 The second piece is our grid readiness part of the  
8 strategy, which it deals with also kind of low voltage  
9 level forecasting and analysis, and also importantly  
10 includes our non-wire strategy, which is a factor here as  
11 well, so looking for opportunities besides expanding  
12 infrastructure at the neighbourhood level. So, we've got  
13 pilots that are sketched out in that evidence around, you  
14 know, managed -- like, demand response for EVs, for  
15 example, and different kinds of options like that that  
16 we'll be looking into.

17 And then the third piece of that strategy is the  
18 analytics piece which kind of ties all this together. So,  
19 we're looking at creating predictive analytics tools that  
20 are more and more granular that can be used to understand  
21 with greater sophistication a couple of things, what is the  
22 actual loading with more precision at the feeder and  
23 neighbourhood level and customer level. And that is  
24 important because the more insight we can get into  
25 specifically, you know, down to more decimal points of  
26 clarity, what that loading is, it potentially opens up head  
27 room on our system and allows us to redirect capital and  
28 solutions to other parts of the system.

1           So, I could go on, I'll sort of leave it there. But I  
2 think the general point is, you know, we are making  
3 investments -- we're proposing to make investments and we  
4 have been making investments that are going to improve the  
5 observability and our ability to understand what is  
6 happening at that local level, so that as the energy  
7 transition unfolds, we can minimize the cost to every  
8 extent feasible using technology.

9           MR. ELSON: Okay. I'm going to go back to the  
10 questions around panel sizes. I think I'm gathering from  
11 these answers that the actual sizes of customer panels is  
12 not a variable in your, you know, capacity supply deficit  
13 calculations for your feeders or for your transformers and  
14 conductors. Is that right?

15          MS. NARISSETTY: That's correct. We don't directly use  
16 the panel sizes as an input.

17          MR. ELSON: Got it. And so, avoiding a panel upgrade,  
18 the only way that that would make its way into the sizing  
19 of your distribution assets is if that -- you know, I guess  
20 you could say inadvertently limits the peak demand of that  
21 customer. So, if you have a hundred amp panel, that's,  
22 like, a maximum of 24 kilowatts, I guess, and it would mean  
23 that you can't go over that level of draw, and that's how  
24 it would be reflected in your supply deficit calculations  
25 for your feeders and other equipment. Is that fair to say?

26          MS. NARISSETTY: That's correct.

27          MR. ELSON: Okay. That is what I was looking for.  
28 So, I will move now to 2B-ED-18. And that was questions



1 about, you know, panel upgrade costs and you said that  
2 there isn't a fee for panel upgrades, but there is a fee  
3 for connecting and disconnecting, right? I think it's  
4 \$600.

5 MS. NARISSETTY: That's correct, there is a fee for  
6 connecting and disconnecting.

7 MR. ELSON: This is probably a stupid question, but I  
8 assume you always need to do a connection and disconnection  
9 when you're replacing a panel?

10 MS. NARISSETTY: I believe so, yes.

11 MR. ELSON: Toronto Hydro always has to come out. And  
12 so, what do you do? Do you send someone out to physically  
13 disconnect the wires and then send them to reconnect it  
14 again?

15 MS. NARISSETTY: Yes, there is an isolation and a  
16 reconnect.

17 MR. ELSON: Got it. And where does that happen? Is  
18 that right at someone's house?

19 MS. NARISSETTY: I don't know the exact details of  
20 that.

21 MR. ELSON: Got it. Why can't the customer's  
22 electrician do that?

23 MS. NARISSETTY: Since the disconnect occurs on the  
24 Toronto Hydro-owned asset, and our authorized personnel are  
25 the only ones who are authorized to work on that equipment,  
26 Toronto Hydro needs to do the work.

27 MR. ELSON: Is it on the customer's property, or off  
28 the customer's property. Is it happening at the pole, or

1 on the customer's property?

2 MS. NARISSETTY: That specific detail, I don't know.

3 MR. ELSON: Okay.

4 MS. NARISSETTY: But perhaps it can be answered by  
5 panel 2.

6 MR. ELSON: Okay. I'm going to maybe wrap that into  
7 an undertaking. But let me ask first for an undertaking  
8 for an analysis to justify that cost, which may just be a  
9 very simple couple of sentences: it takes, you know, an  
10 average X hours, and here's the labour cost to send  
11 somebody out, just so that we can connect the fee that's  
12 charged to the actual cost. Is that something that you  
13 could provide?

14 MR. KEIZER: You're just looking for the basis of the  
15 \$600 fee. Is that what you are saying?

16 MR. ELSON: Yeah. I guess the basis could mean how  
17 you came up with it; that would be helpful, but also a  
18 justification for it. So what's the average time that it  
19 takes and what's the actual labour costs connected to it.

20 MR. KEIZER: Well, I think we will undertake to  
21 provide it. To the extent we can provide the details, we  
22 will. If we can't, then we will advise what details we  
23 can't provide.

24 MR. ELSON: Okay. Thank you.

25 MR. MURRAY: That will be undertaking JT2.7.

26 **UNDERTAKING JT2.7: TO DESCRIBE THE BASIS FOR THE \$600**  
27 **FEE AND ITS JUSTIFICATION; THE AVERAGE TIME IT TAKES**  
28 **AND THE ACTUAL LABOUR COSTS CONNECTED TO IT.**

1 MR. ELSON: Can you undertake to compare those  
2 connections costs or, I guess, panel upgrade costs, to  
3 peers, including Alectra and Ottawa hydro?

4 MR. KEIZER: Sorry, you're wanting us to benchmark  
5 them? Is that what you are asking us to do?

6 MR. ELSON: Well, I mean, that sounds onerous, so no.  
7 Just to compare it to a handful of peers. I have said  
8 including Alectra and Hydro One. And, if that's all that  
9 you can do within the required time, then that would at  
10 least give us one point.

11 MR. KEIZER: If I can just have a moment? Toronto  
12 Hydro is not prepared to do that. We don't want to go  
13 forward and have to actually compare on the basis that we  
14 prepare -- that Toronto Hydro prepares it, relative to what  
15 the bases that Hydro One or Alectra, and do an  
16 investigation of their various terms and services, and  
17 whether or not they are actually apples to apples. So we  
18 don't see the relevance of it at this point.

19 MR. ELSON: The relevance, Mr. Keizer, is that  
20 customers are in a monopoly situation. And if they want  
21 the services, there's only one utility that they get it  
22 from. And so that's a datapoint that would justify that  
23 piece.

24 MR. KEIZER: As long as the basis upon which the \$600  
25 is derived is a proper basis, that's the basis on which  
26 they would charge, not relative to whether someone else  
27 receives it on a different basis and a different cost  
28 basis. So the refusal still stands.

1 MR. ELSON: Well, I won't agree, but again, there's  
2 nothing I can do about it.

3 One last undertaking on this point: Could you confirm  
4 whether the connection is occurring on the customer  
5 property or at the pole level, and speak in more detail to  
6 whether Toronto Hydro would be open to considering an  
7 arrangement where the customer's electrician can do that so  
8 as to reduce the overall cost and have one person come out  
9 instead of two?

10 That's something that I'm sure no panel can answer off  
11 the cuff, so I would be asking for that by way of  
12 undertaking.

13 MR. KEIZER: Just a moment, please. That's fine,  
14 we'll do it if we can. And, if we can't, we'll otherwise  
15 articulate why we can't, but that's fine.

16 MR. ELSON: Thank you.

17 MR. MURRAY: That will be Undertaking JT2.8.

18 **UNDERTAKING JT2.8: TO CONFIRM WHETHER THE CONNECTION**  
19 **IS OCCURRING ON THE CUSTOMER PROPERTY OR AT THE POLE**  
20 **LEVEL, AND SPEAK IN MORE DETAIL TO WHETHER TORONTO**  
21 **HYDRO WOULD BE OPEN TO CONSIDERING AN ARRANGEMENT**  
22 **WHERE THE CUSTOMER'S ELECTRICIAN CAN DO THAT.**

23 MR. ELSON: Okay. If I could turn to 2B-ED-23? And  
24 we had asked you how much of your peak demand is from water  
25 heating, and you said that you didn't know, which really  
26 surprised me that you can't or don't have estimates of  
27 your, you know, the components that make up your peak  
28 demand. And it seems to me that it would be difficult to

1 ensure that you are pursuing the most cost-effective DR  
2 programs if you don't know where your load is coming from.

3 Can you respond to that?

4 MR. HUNTLEY: What's the question, Mr. Elson?

5 MR. ELSON: I'll ask the question in a different way.  
6 What I was asking you is to comment on my statement that  
7 you can't be ensuring that you're pursuing the most cost-  
8 effective DR programs if you don't know where your demand  
9 is coming from in different uses, you know, such as water  
10 heaters or lights, or the different sort of end uses that  
11 you might be able to target.

12 MS. MARZOUGH: Thanks for the question. So our  
13 demand response program, much like the rest of our  
14 investment plan, is grounded in a ground-up analysis of our  
15 system need. So it begins with the needs. So it doesn't  
16 begin with a study of where demand response may be located  
17 in our system. It begins with a ground-up assessment of  
18 what kinds of needs we have on our system, and what kinds  
19 could be addressed utilizing demand response.

20 So that's the starting point. And much like any other  
21 investment decision, we look at what the needs are and then  
22 we go out and try to address them using non-wire solutions.  
23 And to the extent that water heating is controllable and  
24 dispatchable and can participate in our procurements, that  
25 would be something that we would leverage.

26 MR. ELSON: Do you have any idea how many of your  
27 customers have electric water heaters, what percent of your  
28 customers have electric water heaters?

1 MS. MARZOUGHI: I do not know that information, and I  
2 don't believe that we collect that information.

3 MR. ELSON: I mean, Enbridge, for example, they do  
4 customer surveys to try to figure out what kind of  
5 equipment their customers have. Frankly, they ask about  
6 electric equipment as well. You don't have anything  
7 equivalent to that? So you just have no visibility into  
8 what electric equipment is driving your customers'  
9 residential demand?

10 MS. MARZOUGHI: Our programs right now are actually  
11 not focused on residential customers. They're focused on  
12 commercial and industrial, for the simple reason that it's  
13 much more cost effective to target those customers at this  
14 time.

15 In terms of our understanding of what DERs are  
16 installed in our system, we do know that. So we have that  
17 information, and that does drive our understanding of how  
18 much capacity might be available in the areas that we are  
19 targeting.

20 MR. ELSON: My question actually isn't -- I know I  
21 asked about demand response, but the topic isn't only about  
22 demand response and about your visibility into your own  
23 system.

24 Let me ask, do you think it would be worthwhile to  
25 have that information, you know, the components of your  
26 peak demand to see where opportunities are for demand  
27 response to analyze, you know, the likely impact of  
28 different customer decisions through the energy transition

1 from a capacity basis, so on and so forth. It seems to me  
2 like it would be helpful to have that information. Do you  
3 agree?

4 MR. HIGGINS: Mr. Elson, I think if we review the grid  
5 modernization strategy, I think we have signalled that we  
6 do have a strong interest in improving visibility into the  
7 system, understanding our customers better. So as part of  
8 our longer term road map, that is certainly part of the  
9 journey. And I wouldn't rule out surveys being a part of  
10 that. And we also piece together information from other  
11 publicly available sources and other agencies that are able  
12 to provide us with behind-the-meter information. That's  
13 always something we're looking to do, and we may determine  
14 it's appropriate to do a survey in the future as well.

15 MR. ELSON: Got it. Now, your future energy scenarios  
16 or the consultant who did the work, they must have had dis  
17 aggregated assumptions on factors like that, for example,  
18 if they're looking at electrification, they must have had,  
19 you know, some way to estimate what the current penetration  
20 of electric water heating is now, versus what it would be  
21 in the future to come up with those outputs, would you  
22 agree with that?

23 MR. HIGGINS: I want to avoid going too far into the  
24 weeds here, it may take some time to find references and  
25 things and we can always take questions back to our  
26 consultant, if we need to get into some specific details,  
27 but I know there were a number of interrogatories where we  
28 produced the sources of information, and a detailed

1 explanation, including within the vendors report that was  
2 provided on how ever driver was modeled. They piece  
3 together inferring from mostly available research, as well  
4 as public government, government documents, city documents,  
5 et cetera. And then use that information to craft their  
6 models, which then predicted what would happen in the  
7 future.

8 MR. ELSON: Okay. I know that our schedule had I  
9 think 12:23 for lunch, Mr. Murray, I'm flexible to do it  
10 now or in 7 minutes. Now wouldn't be a bad time for me?

11 MR. MURRAY: Okay. Why don't we go to lunch now, and  
12 we'll come back at 1:10.

13 MR. ELSON: Thank you.

14 --- Luncheon recess taken at 12:23 p.m.

15 --- On resuming at 1:17 p.m.

16 MR. MURRAY: Mr. Elson, you can continue with your  
17 questions.

18 MR. ELSON: Thank you, Mr. Murray. I am going to  
19 move, actually, to ED-26. And in ED-26 -- which is 2B-ED-  
20 26 -- there's some questions about micro-generation  
21 connection costs, and a reference to a deposit being needed  
22 when there's a site assessment required. How often is  
23 there a site assessment required?

24 MR. HUNTLEY: Almost always.

25 MR. ELSON: And what does that mean? Are you talking  
26 about -- you're not talking about an in-person assessment,  
27 you're talking about a desktop assessment. Right?

28 MR. HUNTLEY: An in-person assessment.



1 MR. ELSON: In-person assessment. Why do you need to  
2 go in person?

3 MR. HUNTLEY: Because there's a need to evaluate the  
4 site itself to determine the conditions for the connection.

5 MR. ELSON: And you refer to a \$500 deposit. Is it a  
6 deposit or a fee?

7 MR. HUNTLEY: It represents a charge that the utility  
8 is permitted to collect should a site visit be required.

9 MR. ELSON: Got it. So, the site visit costs five  
10 hundred bucks?

11 MR. HUNTLEY: I believe the strict wording of the code  
12 is up to 500 bucks.

13 MR. ELSON: Okay. And then there's also reference in  
14 the interrogatory response to a connection charge being  
15 applied, without reference to what that is. What's the  
16 connection charge?

17 MR. HUNTLEY: That's a variable charge to recover the  
18 cost of the connection assets.

19 MR. ELSON: So, in terms of micro-generation  
20 connection requests, you're talking about the costs of  
21 installing the materials and to install a net meter  
22 typically?

23 MR. HUNTLEY: Yes, the labour and material associated  
24 with the meter change out, as well as preparing the offer  
25 to connect.

26 MR. ELSON: And so, what's the basic fee for preparing  
27 an offer to connect and doing the meter equipment and  
28 labour?

1 MR. HUNTLEY: There's no fee to prepare the offer to  
2 connect. It is part and parcel of the connection itself,  
3 the process. The costs that you're referring to involves  
4 primarily labour and materials with respect to the meter.

5 MR. ELSON: Okay. So, the connection cost, how much  
6 is the cost to purchase the meter and install it?

7 MR. HUNTLEY: It's a variable cost.

8 MR. ELSON: Typically, roughly how much is it?

9 MR. HUNTLEY: I do not think I have that with me.

10 MR. ELSON: Okay. Can you undertake to let us know  
11 what the typical cost is for all of the connection charges  
12 for a micro-gen connection, including the baseline, which  
13 would be replacing a meter?

14 MR. HUNTLEY: Noted, yes.

15 MR. ELSON: Thank you.

16 MR. MURRAY: That will be undertaking JT2.9.

17 **UNDERTAKING JT2.9: TO ADVISE THE TOTAL TYPICAL COST**  
18 **FOR ALL CONNECTION CHARGES FOR A MICRO-GEN CONNECTION,**  
19 **INCLUDING BASELINE, REPLACING A METER.**

20 MR. ELSON: And could you also undertake to justify  
21 the fees that you and the connection charge in terms of the  
22 actual costs incurred by Toronto Hydro, and compare that to  
23 Alectra and Ottawa Hydro?

24 MR. KEIZER: We're taking the same position as the  
25 last refusal on that regard.

26 MR. ELSON: For the comparison?

27 MR. KEIZER: Yes.

28 MR. ELSON: Okay. Are you taking the same position as

1 a willingness to provide the justification for the Toronto  
2 Hydro charges?

3 MR. KEIZER: No. We'll explain those.

4 MR. ELSON: Thank you. So, I think that would be  
5 another undertaking.

6 MR. MURRAY: That will be undertaking JT2.10.

7 **UNDERTAKING JT2.10: TO JUSTIFY THE FEES THE**  
8 **CONNECTION CHARGE IN TERMS OF THE ACTUAL COSTS**  
9 **INCURRED BY TORONTO HYDRO.**

10 MR. ELSON: Okay. Now, on page 2 of your  
11 interrogatory response, we asked you to let us know, you  
12 know, where you get the source of the authority to charge  
13 these pieces. And this is the Distribution System Code, it  
14 says a distributor shall define a basic connection and  
15 recover the cost of the basic connection through a charge  
16 to the customer. And that will include at a minimum supply  
17 and installation of any new or modified metering.

18 I couldn't find anywhere, well I mean, in this  
19 interrogatory response, where you actually indicated what  
20 the basic connection is and the cost of a basic connection.  
21 You don't, do you? It's not in your conditions of service  
22 for micro-generation?

23 MR. HUNTLEY: For clarity, could you repeat the  
24 question, please, Mr. Elson?

25 MR. ELSON: Sure, and you know what, what I'm going to  
26 do is ask for it by way of undertaking, because our time is  
27 short.

28 In your interrogatory response you referenced section

1 3.1.5A, which states that for micro-embedded generation  
2 facility customers, a distributor shall define a basic  
3 connection, and recover the cost of the basic connection  
4 through a charge to the customer.

5 Could you undertake to provide the document where  
6 Toronto Hydro defines a basic connection with respect to  
7 micro-generation facilities and provide that excerpt in  
8 that document, or if it isn't indicated in a public facing  
9 document, to explain why.

10 MR. HIGGINS: Yes.

11 MR. ELSON: Thank you.

12 MR. MURRAY: That will be undertaking JT2.11.

13 **UNDERTAKING JT2.11: TO PROVIDE A DOCUMENT WHERE**  
14 **TORONTO HYDRO DEFINES A BASIC CONNECTION WITH RESPECT**  
15 **TO MICRO-GENERATION FACILITIES AND PROVIDE THAT**  
16 **EXCERPT IN THAT DOCUMENT; OR IF IT ISN'T INDICATED IN**  
17 **A PUBLIC FACING DOCUMENT, TO EXPLAIN WHY.**

18 MR. ELSON: If we could turn to 2B-ED-43. Could you  
19 undertake to confirm if the figures in this table or  
20 figure, I should say, include upstream losses, including  
21 transmission losses? And the reason that I ask is I  
22 believe the Ottawa hydro -- or Hydro Ottawa figure does  
23 include upstream losses, so I'm not sure if we're comparing  
24 apples to apples here. Could you go back and confirm,  
25 including in relation to Hydro Ottawa, whether this is an  
26 apples-to-apples comparison, including only distribution  
27 losses not also distribution and transmission losses?

28 MR. HIGGINS: Yes, we can double check that.

1 MR. ELSON: Thank you.

2 MR. MURRAY: That will be undertaking JT2.12.

3 **UNDERTAKING JT2.12: REFERENCING 2B-ED-43, TO CONFIRM**  
4 **IF THE FIGURES INCLUDE UPSTREAM LOSSES AND BOTH**  
5 **TRANSMISSION AND DISTRIBUTION LOSSES.**

6 MR. ELSON: In part F to this interrogatory, Toronto  
7 Hydro indicated that no dollar figure is assigned to losses  
8 for investment planning purposes, which surprised me,  
9 because all of the other distributors who I've asked about  
10 this have quantified the value of loss reductions so that  
11 they can compare trade-offs between different equipment or  
12 different conductors. And so, I'm wondering if this is  
13 actually a correct answer. And if it is, how you would,  
14 for example, decide between two transformers where one is  
15 more expensive, but is able to achieve additional loss  
16 reductions?

17 MS. NARISSETTY: Mr. Elson, I can confirm that we do  
18 take into account losses when evaluating equipment for  
19 purchase and procurement.

20 MR. ELSON: You take them into account on a  
21 qualitative basis? Or do you also calculate the value of  
22 the losses and factor that in on a quantitative basis as to  
23 which transformer has overall lifetime losses that are  
24 less?

25 MS. NARISSETTY: We do quantitative.

26 MR. ELSON: When you say quantitative, do you mean you  
27 measure how much the difference is in terms of losses and  
28 then make a judgment call? Or do you actually do that

1 monetary comparison that I was describing?

2 MS. NARISSETTY: We do a monetary comparison.

3 MR. ELSON: You do a monetary. Okay. Well, then, I  
4 am going to ask you another question, which is can you  
5 undertake to let us know how you quantify the value of  
6 those losses and whether you include the all-in price of  
7 electricity, or just the HOEP, or otherwise? Can you  
8 undertake to provide that answer?

9 MS. NARISSETTY: Yes.

10 MR. ELSON: Thank you.

11 MR. MURRAY: That will be Undertaking JT2.13.

12 **UNDERTAKING JT2.13: TO ADVISE HOW THE VALUE OF LOSSES**  
13 **ARE QUANTIFIED, WHETHER IT INCLUDES THE ALL-IN PRICE**  
14 **OF ELECTRICITY, OR JUST THE HOEP, OR OTHERWISE.**

15 MR. ELSON: Okay. So you assign a dollar value to  
16 losses when you are comparing different transformers. What  
17 about when you are deciding which conductors to put in when  
18 you're either replacing a conductor or putting a new one in  
19 for a new customer?

20 MR. HIGGINS: Talking about the planning stage, so we  
21 would be drawing on the different standard conductor types  
22 and sizes that we have available to us through our  
23 standards, and choosing the appropriate cable for the size  
24 of the load that needs to be carried, including the  
25 contingency capacity that needs to be carried, if it's on a  
26 trunk feeder.

27 So it's not a direct monetary evaluation, but we would  
28 be selecting the right cable for the job.

1 MR. ELSON: You would be selecting the right cable for  
2 the capacity needs, but you don't assess whether it may be  
3 cost effective to upsize the cable for the purpose of  
4 reducing distribution losses. Is that correct?

5 MR. HIGGINS: That's correct.

6 MR. ELSON: Okay. Can you undertake to consider  
7 starting that practice? You know, one of the reasons that  
8 I ask is, for example, Hydro One has started doing that  
9 analysis, and they will decide whether to upsize a  
10 conductor based on whether it would achieve overall net  
11 savings in terms of reductions of transmission losses.

12 And I don't want to put you on the spot today, but if  
13 you could undertake to consider that as a practice on a  
14 going-forward basis, and provide your commentary on that,  
15 whether you are willing to do that and if not, why not?  
16 That would be appreciated.

17 MR. HIGGINS: I think, sitting here today, I don't  
18 think we would be prepared to commit to that. I think in a  
19 number of -- well, these interrogatory responses, I guess,  
20 that we are discussing right now, and maybe some Staff ones  
21 as well, we mention that just because of our current  
22 relative performance.

23 But most importantly, because of the nature of our  
24 distribution system, line losses are not a significant  
25 driver of our asset decision-making portfolio -- our  
26 investment portfolios, I should say.

27 It is distribution-level equipment. We are in a very  
28 dense urban territory with, you know, shorter feeder runs

1 than say utilities with -- distribution utilities, with  
2 longer runs. And it is not transmission.

3 Certainly the line losses issue is a significant  
4 factor on the transmission system, but it is not a  
5 significant factor, in our view, on the distribution system  
6 -- on distribution systems in general. And on our system  
7 in particular, given the characteristics of the system,  
8 it's just not something that we have invested significant  
9 engineering and planning and consulting resources into  
10 studying, for the reasons I have mentioned.

11 So I don't see that being a significant priority in  
12 the near-term future, so I don't think we would commit to  
13 that, sitting here today.

14 MR. ELSON: Doesn't shorter lines also mean that it is  
15 cheaper to upsize them?

16 MR. HIGGINS: There is a lot of different factors that  
17 go into the per kilometre cost of infrastructure.

18 MR. ELSON: I will leave that for a further part in  
19 this proceeding.

20 I have a question about 1B-ED-03. I am not sure if  
21 this panel can answer that or not, but I will try.

22 This is about Toronto Hydro's fleet of fossil fuel  
23 heating equipment. And there's reference to Toronto Hydro  
24 planning to replace it with electric equipment. Are you  
25 able to confirm whether the plan is to replace all of the  
26 fossil fuels heating equipment with electric, or just some?

27 And if this needs to go to another panel, just let me  
28 know.



1 MR. HIGGINS: Yes. I think this would be better  
2 answered by panel 2.

3 MR. ELSON: Panel 2? Okay. Then I will need five  
4 minutes for panel 2. But that is my only question that I  
5 will have for them.

6 When you are analyzing non-wires solutions, do you  
7 quantify the benefit of deferring an investment in an asset  
8 until you know more about how it will need to be  
9 appropriately sized in light of the energy transition?

10 MS. MARZOUGH: So we are assessing non-wires, our  
11 non-wires program, currently, which is limited in terms of  
12 the use case that we apply these solutions towards, which  
13 is at the moment bus-level load transfers. The application  
14 of those solutions as we have stated in the evidence, we  
15 are targeting six stations. And we have a certain target  
16 based on our assessment of our ability to meet that  
17 capacity need, utilizing demand response.

18 And when we make those decisions, it happens on an  
19 annual basis when we assess our load transfers, which are  
20 reassessed annually. So I am not sure if that answers your  
21 question, but...

22 MR. ELSON: I think maybe what your answer is that  
23 because your non-wire solutions program is narrow, this is  
24 not a relevant factor? Is that what you are saying?

25 MS. MARZOUGH: Let's go back to your question. Can  
26 you repeat it again, so I can be sure?

27 MR. ELSON: Sure. And I'll elaborate on it. You  
28 know, one of the benefits of a non-wire solution is that

1 you can defer investment in an asset, let's say one, two,  
2 three, four, five years, and then five years out, you may  
3 find that you had less demand than you expected, so it can  
4 be smaller, or you had more demand than you expected, so  
5 you actually will make it bigger such that it will last  
6 longer.

7 So one of the benefits is that you defer the  
8 investment until you know more about what size it will be.  
9 It's a hard to calculate benefit, and one that's often  
10 overlooked, and I am asking whether you calculate that  
11 benefit, because it's a real benefit and an important  
12 benefit.

13 MS. MARZOUGH: So again, I guess in terms of -- I  
14 would agree with your assertion that the use of non-wires  
15 enables this type of flexibility. So what you're  
16 describing, which is the ability to defer the decision to  
17 put iron in the ground, is exactly what the non-wires  
18 program gives you the ability to do.

19 So in terms of our approach towards quantifying that  
20 benefit, we have to start with what's the alternative. And  
21 that is what we have done in our cost-benefit analysis,  
22 which you can find in the -- I need the reference here.

23 MR. ELSON: You don't need the reference, for my sake.

24 MS. MARZOUGH: Okay. Well, it's in exhibit 1B,  
25 tab 3, schedule 1. So it begins with that assessment of  
26 what is it that you are deferring. And so to be able to  
27 assess the value of our current program, that's what we  
28 did. We looked at what we would be deferring and what the

1 value is. So that's where I'll leave it.

2 MR. ELSON: Okay. I think the answer is that you are  
3 not quantifying the option value is one way that it's  
4 described. And maybe I could ask if you could undertake to  
5 consider whether you might do so going forward in the  
6 future and how you would calculate that benefit because  
7 it's a difficult benefit to calculate and it's often  
8 excluded.

9 MR. KEIZER: Can I just have a moment? I think that  
10 the concern is about making a future commitment when the  
11 analysis hasn't been fully done, and I think the witness  
12 has already indicated their attempt to develop the benefit  
13 based upon the cost-benefit analysis that's associated with  
14 the non-wire solution and demand response, which she's  
15 proposed in the evidence. So I think, to that extent, we  
16 wouldn't provide the undertaking.

17 MR. ELSON: Well, if I'm going to save myself five  
18 minutes for panel 2, then I think I'll have to stop there.  
19 Thank you.

20 MR. MURRAY: Thank you very much, Mr. Elson. Mr.  
21 Ladanyi, over to you.

22 MR. LADANYI: Thank you, Mr. Murray. Could you tell  
23 me: I have looked at the schedule, and I see that there  
24 are two breaks this afternoon; are you still planning for  
25 two breaks?

26 MR. MURRAY: We are.

27 MR. LADANYI: All right. Thank you.

28 MR. MURRAY: So, in terms of the timing, maybe we will

1 try for the first break -- maybe 10 or 15 minutes, and then  
2 we will take the first break, if that makes sense?

3 **EXAMINATION BY MR. LADANYI:**

4 MR. LADANYI: Very good. So my name is Tom Ladanyi,  
5 and I'm a consultant representing the Coalition of  
6 Concerned Manufacturers and Businesses of Canada, and the  
7 coalition was formed in 2016 by a group of former members  
8 of the Canadian Manufacturers & Exporters association. It  
9 has 418 members, and the president is Catherine Swift, who  
10 is a former head of the Canadian of Federation of  
11 Independent Business. You can find out more about the  
12 coalition by visiting its website, ccmbc.ca.

13 I was looking at and actually also watching the  
14 proceeding yesterday, and I reviewed the transcript, and I  
15 have a follow-up question on something that was discussed  
16 by Mr. Rubenstein with you yesterday. It's on pages 43 to  
17 47 of the transcript. You don't have to turn to it. He  
18 was discussing your reliability model. I think it's called  
19 Alteryx. I keep wanting to call it "asterisk," but anyway,  
20 Alteryx model.

21 I was wondering if you can provide the specific output  
22 of the model for each year between 2023 and 2029, which is  
23 essentially underlying the application. I was wondering  
24 what the output looks like, SAIDI and SAIFI numbers, or  
25 whatever the output is. Some kind of a printout, I'm  
26 looking for.

27 MR. HIGGINS: Yes, we can provide the numbers that are  
28 behind the lines you see that were produced. Yes.

1 MR. LADANYI: Very good. Can we have an undertaking  
2 for that, please?

3 MR. MURRAY: That will be undertaking JT2.14.

4 **UNDERTAKING JT2.14: TO PROVIDE THE FIGURES BEHIND**  
5 **THE ALTERYX MODEL FOR EACH YEAR BETWEEN 2023-2029**

6 MR. LADANYI: Thank you.

7 MR. RUBENSTEIN: Sorry. If I could just clarify,  
8 you're talking about providing the numbers behind the line,  
9 and I think that's a little bit different than what maybe I  
10 am -- I think the undertaking was asking about the actual  
11 outputs, what comes out of the model for each of those  
12 years based on the application. And I think that you're  
13 talking about the numbers outside of the underlying  
14 projection. Are those the same things?

15 MR. HIGGINS: Yes, it would be -- so I guess what you  
16 see in the charts is the rolling five-year average. The  
17 model would produce the actual individual year results that  
18 go into the calculation of that five-year average. So we  
19 could give you the individual year results in the format  
20 that they come out of the model.

21 MR. RUBENSTEIN: And so the only thing that comes out  
22 of the model is a SAIDI and SAIFI, and annual SAIDI and  
23 SAIFI score?

24 MR. HIGGINS: It may be CIs and CHIs, which then need  
25 to be normalized into SAIDI, SAIFI. I can check on  
26 specifically what it is, but it will be a reliability  
27 impact, yes.

28 MR. RUBENSTEIN: Okay. Thank you.

1 MR. LADANYI: Okay. Thank you. Now, over the last  
2 couple of days, there has been a lot of discussion of DERs  
3 in this proceeding. And, when discussing DERs, are you  
4 including low-displacement DERs owned by commercial,  
5 industrial, and institutional customers?

6 MR. HUNTLEY: Mr. Ladanyi, can you clarify "including"  
7 those numbers and what specifically they're for?

8 MR. LADANYI: Well, in general discussion, for  
9 example, with Mr. Elson, and then we can go to specifics of  
10 where would you include it. Because most of the discussion  
11 over the last few days, from what I gather from the  
12 discussion with Mr. Elson and Mr. Brophy, was about roof-  
13 top solar panels on the residential buildings that are  
14 exporting into your grid. And, in fact, there are many  
15 much larger DERs that are non-exporting, that are owned by  
16 commercial, industrial, and institutional customers, that  
17 they use for load displacement under the Industrial  
18 Conservation Initiative, ICI. Are you familiar with ICI?

19 MR. HUNTLEY: Yes, I am.

20 MR. LADANYI: Now, I must say that I'm on a number of  
21 OEB committees dealing with DERs, so, in my understanding,  
22 DERs do include load displacement.

23 MR. HUNTLEY: Yes, that's correct.

24 MR. LADANYI: Very good. Many of these customers --  
25 and I'm talking about industrial, commercial, and  
26 institutional customers -- who are eligible for ICI use,  
27 actually, gas-powered generators. Some use batteries, but  
28 a majority actually use gas-powered generators, to run

1 essentially at peak times to reduce the peak load on your  
2 system. For that, they can avoid paying the global  
3 adjustment charge. Are you aware of that?

4 MR. HUNTLEY: Yes, I am.

5 MR. LADANYI: Thank you. Do you know how many of your  
6 customers would be taking advantage of this?

7 MS. MARZOUGH: So, yes, we do collect information on  
8 which customers have opted into class A status. Panel 3  
9 or --

10 MR. HUNTLEY: I think so.

11 MS. MARZOUGH: Panel 3 would be best able to speak to  
12 that.

13 MR. LADANYI: All right. I might follow up with them  
14 if I have the time.

15 MS. MARZOUGH: Okay.

16 MR. LADANYI: Now, when discussing DERs, the impact on  
17 your system is very different from exporting the DERs, that  
18 essentially inject excess power into your grid, and for  
19 non-exporting DERs. Is that right?

20 MR. HUNTLEY: From a grid-impact perspective, that  
21 would be correct.

22 MR. LADANYI: Very good. So there is more --  
23 essentially, exporting DERs need to be managed more because  
24 you can suddenly get a lot of excess current injected into  
25 your grid, and then you have to do something with it, and  
26 you can't shut them off easily. Is that right?

27 MR. HUNTLEY: As part of our connection process, we do  
28 have anti-islanding protection on some connections. If

1 it's a closed transition type connection that allows export  
2 into the grid, we do have methods to initiate disconnection  
3 should it be necessary.

4 MR. LADANYI: So the impression might have been given  
5 so far -- perhaps only in my mind; maybe with others, as  
6 well -- that the more DERs, the better; you can never have  
7 too many DERs, exporting DERs. And, in actual fact, as far  
8 as I understand, that is not the case, at all, that there  
9 are some jurisdictions -- and Hawaii is an example, South  
10 Australia, California -- where governments have tried to  
11 put restrictions on exporting DERs because there are too  
12 many of them, because they cause instability in the grid.  
13 Do you actually have an idea of what is the maximum  
14 penetration of exporting DERs that you can actually handle?

15 MR. HUNTLEY: At this time, we have not done a [audio  
16 dropout] at this time Toronto hydro has not conducted a  
17 local achievable potential study to determine the maximum  
18 capacity for DERs across the system.

19 MR. LADANYI: But it would not -- you don't think it  
20 would be 100 percent? If every customer had a DER, and  
21 every was exporting, let's say on a sunny date to your  
22 grid, you couldn't handle it, could you?

23 MR. HUNTLEY: There are theoretical limits to how much  
24 DER that can be.

25 MR. LADANYI: Very good, thank you. I'll leave it for  
26 now. Perhaps I will follow it up with another panel.

27 Now if you can turn to 2-CCMBC-6. And this  
28 interrogatory deals with a Stantec study, and I don't think



1 there's anybody on the panel from Stantec, but these are  
2 general questions, and if you can't answer them, you can  
3 take undertakings. These are very simple questions. They  
4 are not trick questions in any way.

5 So, if you can turn to question C. And in question C  
6 I asked: Please compare and discuss probabilities of  
7 occurrences -- which is of severe weather -- predicted by  
8 the 2015 study with actual experience. And the answer was:  
9 There are only minor differences. So, the 2015 study did  
10 not predict higher incidents of severe weather, and that  
11 proved to be accurate. In the current study Stantec is  
12 also not predicting increased incidents of severe weather.  
13 Is that right?

14 MS. NARISSETTY: Subject to check, yes.

15 MR. LADANYI: Thank you. So, please go to question E,  
16 which is on page 3. And it says:

17 "Of the climate parameters listed in table 6,  
18 none deal with low temperature. Please explain  
19 why low temperature is not listed as a climate  
20 parameter."

21 And your answer was that:

22 "The scope of 2022 study was to provide updates  
23 to the same parameters selected by AECOM in the  
24 2015 study and not add any additional parameters.  
25 Stantec was not part of the decision-making  
26 process for the 2015 study that selected the  
27 parameters. In 2015 study only one low-  
28 temperature-related parameter was selected due to

1 potential for frost-heaving issues, but was  
2 deemed to be low risk."

3 Why was it only frost heaving was an issue? Would  
4 not, for example, low temperatures impact your load where  
5 people are using electricity for heat pumps, let's say, and  
6 the load would be higher? So, wouldn't that be an  
7 important parameter?

8 MS. NARISSETTY: I don't know the details of kind of  
9 what went into the parameter selection.

10 MR. LADANYI: Actually, I might ask you for an  
11 undertaking in a second, but let me ask a sub-question  
12 here. So, if Stantec was part of the decision-making  
13 process, would low temperature have been selected as a  
14 climate parameter, and you can ask that of Stantec. Can I  
15 have an undertaking for that?

16 MR. KEIZER: We'll do it on a best-efforts basis, Mr.  
17 Ladanyi.

18 MR. MURRAY: That will be undertaking JT2.15.

19 **UNDERTAKING JT2.15: REFERRING TO 2-CCMBC-6E, TO MAKE**  
20 **BEST EFFORTS TO INQUIRE OF STANTEC WHETHER LOW**  
21 **TEMPERATURE WOULD HAVE BEEN SELECTED AS A CLIMATE**  
22 **PARAMETER.**

23 MR. LADANYI: Now please turn to 2B-CCMBC-8. And this  
24 one also deals with severe weather events, and the risk of  
25 them. And I will not read the response, but you can read  
26 it if you like. As I understand it, the answer from  
27 Stantec was the only increased risk is an additional 1.2  
28 days above 35 degrees C in the decade after 2015 -- 2050,

1 so it's between 2050 and 2060 there will be only additional  
2 1.2 days above 35 C. Is that how you understand what  
3 Stantec's report says?

4 MS. NARISSETTY: Yes, that's what the response  
5 indicates, and, you know, the first sentence of the  
6 response, which also qualifies it by saying that the study  
7 only evaluated the material change, and the risk score for  
8 hazards, or probability scores, changed.

9 MR. LADANYI: So this is a question possibly for  
10 Stantec again, another undertaking or perhaps you know it.  
11 Is this -- just for the Toronto Hydro service area or is  
12 this for southern Ontario? And I was just wondering how  
13 Stantec could have identified in effect for a relatively  
14 small area of just Toronto Hydro service area. Could you  
15 ask Stantec is this only relevant to Toronto Hydro's area?

16 MR. KEIZER: We can do the same again on a best-  
17 efforts basis.

18 MR. MURRAY: That will be undertaking JT2.16.

19 **UNDERTAKING JT2.16: TO CONFIRM WHETHER THE REGION**  
20 **DESCRIBED IN 2B-CCMBC-8 IS ONLY THE TORONTO HYDRO**  
21 **SERVICE AREA OR IS SOUTHERN ONTARIO**

22 MR. LADANYI: So, in relation to the break, would you  
23 like to take the break now or want me to continue?

24 MR. MURRAY: Are you going on to a new line of  
25 questioning? If so, now probably makes sense.

26 MR. LADANYI: Yes. I'm actually going to a different  
27 line of questioning.

28 MR. MURRAY: So, why don't we take a break and we'll

1 come back at 2:05.

2 MR. LADANYI: Thank you.

3 --- Recess taken at 1:53 p.m.

4 --- On resuming at 2:09 p.m.

5 MR. MURRAY: Mr. Ladanyi, please continue your  
6 questions.

7 MR. LADANYI: Thank you, Mr. Murray. Can everyone  
8 hear me? Very good. So can you turn -- please turn to 4-  
9 CCMBC-15. In question A, I asked what proportion of  
10 internal execution -- internal execution, internal  
11 execution -- and external execution is -- and planning  
12 workforce time is spent on work for capital projects?

13 And if you go down, you will see table 1.

14 MR. KEIZER: Sorry, Mr. Ladanyi, just to give you a  
15 Heads-up, this may be a question for panel 2. But maybe I  
16 will let you finish your question, but...

17 MR. LADANYI: Yes. I thought it might have been, but  
18 it was listed on the ones for panel 1. So give it a try.  
19 And if you can't answer me, then you can refer it to panel  
20 2, of course.

21 So your text answer talks about -- it says, "Average  
22 labour transfers and capitalizations." And the title on  
23 top of table 1 is in millions, but what's given is in  
24 percentages, and not millions. And I was wondering, what  
25 is right? Which one? Is it percentages or millions? Is  
26 this a typo, or is the table indicating something different  
27 that I don't understand?

28 MR. MUNDENCHIRA: I believe it is a typo in the

1 heading, Mr. Ladanyi. It is percentages.

2 MR. LADANYI: So it's percentages. Okay. Why would  
3 there be a minus for example in front of 75.7? Is that a  
4 minus sign? Or is that something else, the dash in front of  
5 the numbers?

6 MR. MUNDENCHIRA: Correct. It is a minus size; it  
7 represents costs moving out of opex. So it is a credit in  
8 opex.

9 MR. LADANYI: Okay. So that would mean then, the 75.7  
10 of internal work execution costs are capitalized?

11 MR. MUNDENCHIRA: Correct.

12 MR. LADANYI: So what is the difference between  
13 internal work execution, and external work execution?

14 MR. KEIZER: I think that's where panel 2 may come in.

15 MR. MUNDENCHIRA: It might be best for panel 2, to  
16 answer your further questions on that.

17 MR. LADANYI: Very good. Thank you.

18 MR. KEIZER: Sorry, Mr. Ladanyi, but I think this  
19 panel can address the bottom one, which is system planning,  
20 though. Correct?

21 MR. HIGGINS: Sorry...

22 MR. KEIZER: That this panel 1 can address, if you had  
23 questions regarding the bottom cell relating to system  
24 planning, I believe this is something panel 1 can deal  
25 with.

26 MR. LADANYI: Okay. So this panel is responsible for  
27 subsystem planning. So let me rephrase my question.  
28 Actually, I didn't mean to address system planning, but

1 since Mr. Keizer suggested to ask you a question: So, for  
2 example, does this mean that 68 percent of system -- 68.1  
3 percent of system planning costs, and that would be, like -  
4 - I presume it's a department called "System planning", are  
5 capitalized?

6 MR. MUNDENCHIRA: Correct. Yes.

7 MR. LADANYI: Thank you. Now, if you can please turn  
8 to 4-CCMBC-16? And this interrogatory deals with the grid  
9 modernization strategy. And I am sorry I did not pose the  
10 questions correctly, but I think I may thank you for  
11 attempting to answer them, anyway.

12 I am particularly interested to know why is Toronto  
13 Hydro's grid modernization strategy so labour intensive?  
14 You're increasing staff in this area by 39 percent, from 85  
15 to 118. I presume that's FTEs, is it?

16 MR. HIGGINS: Mr. Ladanyi, my understanding of this  
17 interrogatory based on the preamble is that it's with  
18 reference to staffing in the control centre.

19 MR. LADANYI: Control centre, all right.

20 MR. HIGGINS: Yeah, which would be -- we have a  
21 witness on panel 2 who can speak to the control operations.

22 MR. LADANYI: Perhaps we can deal with one part of  
23 your answer, which is on the next page. If you can turn to  
24 page 2 of the response?

25 If you look at the sentence starting in the second  
26 paragraph with, "In summary", the reference is discussed:

27 "...increases to works volumes associated with  
28 installation and operation of more remotely

1 operable SCADA devices. A significant increase  
2 in Toronto Hydro's dependency on accurate and  
3 timely distribution system modelling, an increase  
4 in remotely monitored and managed datapoints and  
5 an increase in distributed energy resources and  
6 the potential for energy centre to take on a  
7 critical role in actively managing DERs and non-  
8 wire solutions to maintain grid stability and  
9 support and expanded market for distributed grid  
10 devices. All these requirements will increase  
11 workload relative to what is required to safely  
12 and efficiently operate today's grid."

13 My first question in relation to that, and you can  
14 attempt to answer it, is when you compare a non-wire  
15 solution to a wire solution, do you take into account that  
16 non-wire solution will have higher operation and  
17 maintenance costs?

18 MS. MARZOUGH: So I think we should just clarify what  
19 this particular response is referencing in terms of non-  
20 wire solutions, versus what we talk about in our non-wire  
21 solutions program.

22 So in this IR, what they're talking about here is grid  
23 visibility of resources, and observability of those  
24 resources, and then to be able to potentially actively  
25 manage them as the utility sees fit as we continue to  
26 evolve on our grid modernization journey. I would see that  
27 as separate from the non-wire solutions that we procure in  
28 order to defer or avoid capital investment.

1           And so I don't think those two are related. So I just  
2 want to make that point, if that's helpful.

3           MR. LADANYI: Okay. Thank you, for that answer. And  
4 so there's a difference in a non-wire solution that  
5 involves your own assets which you have designed to  
6 operate, and a non-wire solution that might involve DERs  
7 owned by somebody else. And as I understand this answer,  
8 you have to have staff at your -- is it head office or  
9 control centre, actively managing those DERs. They cannot  
10 be managing themselves; somebody has to babysit them.

11           MS. MARZOUGH: So, again, I think that what's being  
12 referenced here is speaking to having improved  
13 observability. And I can't speak to exactly what the  
14 control room would have to invest in, which is why this,  
15 those questions, would be better handled by panel 2.

16           But when talk about non-wires, we are actually talking  
17 about -- like, when we talk about our non-wires program in  
18 exhibit 2B, section E7.2, we are referencing resources that  
19 are not owned by Toronto Hydro, but they are still not  
20 actively managed by Toronto Hydro. We enter into  
21 contractual agreements, and the owners of those resources  
22 would still maintain the cost of operating their own  
23 resources. So we don't operate their resources. We just  
24 have arrangements with them to utilize the capacity.

25           MR. LADANYI: All right. So there could be some  
26 larger, let's say, DERs owned by commercial industrial  
27 customers which are self-managed by them, but there could  
28 be many small rooftop solar panels which are not



1 particularly self-managed by anybody. The owner might be  
2 at work or somewhere else where all this -- working. So is  
3 that what you are talking about, when you are actively  
4 managing DERs? I'm trying to differentiate between what we  
5 are talking about.

6 MS. MARZOUGH: Yeah, I understand. So when we enter  
7 into agreements with customers or aggregators as part of  
8 our non-wires program, we are not actively managing those  
9 assets. In this case, where we are outlining the  
10 investments made to improve the grid observability, again,  
11 it may not be an active management. It's an observability  
12 feature of the investments that are going to be made.

13 MR. LADANYI: And I'll take that up with panel 3, but  
14 you need more staff to do the observability, which is like  
15 eyeballs on a screen.

16 MS. MARZOUGH: I think that those questions in terms  
17 of the workforce related to the control room investments  
18 would be best addressed to panel 3.

19 MR. LADANYI: Yes, I mean, in question C, I --

20 MR. KEIZER: Actually, it will be panel 2 --

21 MS. MARZOUGH: Sorry, panel 2.

22 MR. KEIZER: -- would be the best.

23 MR. LADANYI: Panel 2, I was not planning to actually  
24 ask panel 2 any questions, so -- but we can discuss it at  
25 break, Mr. Keizer, whether I should actually ask panel 2  
26 any questions.

27 MR. KEIZER: Well, we can discuss it, Mr. Ladanyi. I  
28 mean, I don't control your questioning. But, with respect

1 to the control centre, that is where the individual who is  
2 in charge of dealing with the control centre is appearing.

3 MR. LADANYI: So I have a related question here, and  
4 perhaps again it's panel 2. Maybe I really should have  
5 some time for panel 2. With the grid-modernization  
6 strategy, does Toronto Hydro expect any reduction in  
7 staffing due to grid modernization or not?

8 MR. HIGGINS: So, with respect to the grid-  
9 modernization strategy, over different time horizons. In  
10 the immediate, you know, next five years in this plan,  
11 we're going to be -- I would expect us to be in more of a  
12 build-out stage with respect to grid modernization, so we  
13 are deploying technologies, we are implementing systems, we  
14 are developing new skills, and that likely -- well, that  
15 does require an investment in our workforce over that  
16 period.

17 In the longer term, one of the main points of the  
18 grid-modernization strategy is to improve the efficiency of  
19 certain core processes, everything from planning,  
20 engineering, operations, customer interfacing processes,  
21 through the use of analytics, automation, more efficient  
22 and automated system operations. So there is in the long  
23 run an expectation that this technology would result in  
24 savings, including potentially fewer people for certain  
25 functions in the company.

26 But, in the short term, we're in a more of a build-out  
27 innovation stage, and that will require incremental  
28 resources.

1 MR. LADANYI: So, within the time frame of this  
2 application, you are not expecting any staff reductions as  
3 a result of grid modernization?

4 MR. HIGGINS: Certainly not any net staff reductions,  
5 no. We would expect -- I mean, as we begin to develop some  
6 of these tools and whatnot, particularly in the planning  
7 side, you know, it may help to avoid hiring more people  
8 than is currently in the plan line that we filed. So there  
9 is the benefit of, if we can call it, avoided costs already  
10 as part of the plan.

11 MR. LADANYI: Thank you. Could you turn to 2B-CCMBC-  
12 4.1. I apologize for my misnumbering of my  
13 interrogatories, and I thank Toronto Hydro for their  
14 patience in dealing with me in trying to renumber them. So  
15 that's why it's 2B-CCMBC-4.4.

16 So, in question A, I asked: Please explain the  
17 decision-making process that Toronto Hydro uses to identify  
18 capacity constraints, particularly as they relate to large  
19 condominium developments, for example, at Yonge and  
20 Eglinton, which is around here; Yonge and St. Clair, south  
21 of here; and Bayview and Eglinton; and Mount Pleasant and  
22 Eglinton.

23 I don't know if you're aware, but this is just from  
24 the Internet: There are currently 11 large condominium  
25 buildings planned for Bayview and Eglinton, with 3,400  
26 apartment units. I can name them all. Some are quite  
27 large, you know, up to 46 floors, and so on. By the way,  
28 one of them -- and I think too bad Mr. Elson isn't here --

1 is considering geothermal heating and is planning to build  
2 a large drilling, bring a large drilling rig to Bayview and  
3 Broadway and start testing exterior geothermal conditions.  
4 That's not a question for you specifically.

5 Do you know, at all, of the condominium buildings, for  
6 example, planned for Bayview and Eglinton, how many are  
7 planning to use heat pumps or geothermal? Do you know  
8 that, of the 11 condominium buildings? Some are under  
9 construction already.

10 MR. HUNTLEY: No, Mr. Ladanyi, not at this time.

11 MR. LADANYI: Let me ask you a general question. Do  
12 you have sufficient capacity at Bayview and Eglinton for  
13 these large new buildings? Would you have that? Like, is  
14 there enough spare capacity, or would you have to provide  
15 some kind of additional capacity, whatever form of heating  
16 they have?

17 MR. HUNTLEY: I would like to answer the question this  
18 way, by giving you some background on the planning process,  
19 to give you confidence that we have already considered  
20 elements to what you have described.

21 We do have an enhanced early developer engagement  
22 process with which we have a very close relationship with  
23 the city with respect to development plans and developers,  
24 themselves, with respect to their own plans. And we  
25 consider very closely elements of peak demand, demand  
26 profiles, and technologies when we prepare the peak demand  
27 forecast.

28 It is for that reason -- we do that level of

1 engagement to determine if system expansion is required to  
2 accommodate those particular developments. If these  
3 developers have already approved city plans, we would have  
4 taken into account, to the extent that it influences this  
5 rate period, into our forecast.

6 MR. LADANYI: Thank you. So, if you identify -- and I  
7 don't ask you specifically about this location. It's just  
8 in general. If you identify the need for system expansion,  
9 as you mentioned, that you need additional capacity -- and  
10 you would I presume be building, putting in, maybe larger  
11 transformers elsewhere or conductors or whatever -- would  
12 condominium developers be charged to pay a contribution to  
13 pay for this development which is specifically required to  
14 serve them?

15 MS. NARISSETTY: Mr. Ladanyi, I believe we have  
16 answered that question in part B of the response to the  
17 same IR.

18 MR. LADANYI: Yes, I see that.

19 MS. NARISSETTY: Yes.

20 MR. LADANYI: So you could, you do, so you do  
21 sometimes charge developers, is that right, for the system  
22 expansion, not just for their connection cost at the street  
23 but actually for a transformer far away?

24 For example, Yonge and Eglinton here has got many new  
25 buildings that were built over the last 20 years. You  
26 probably must have upgraded some transformers in this area.  
27 There's no way that you could have not done something, and  
28 you probably will have to do it at Yonge and St. Clair.

1 I'm trying to understand: How do you apply, then -- you  
2 say you are applying section C in Appendix B of the  
3 Distribution System Code. How would you apply it? Can you  
4 explain to me just in kind of a summary way so we don't  
5 have to go line by line?

6 MS. NARISSETTY: Yes, certainly. So, when a particular  
7 connection is deemed to require expansion to make that  
8 particular connection, we look at, of course, the peak load  
9 of that particular connection, along with the expansion-  
10 related costs. And that is evaluated using the economic  
11 evaluation model, which, yes, is in accordance with  
12 Appendix B of the Distribution System Code, and that spits  
13 out what is the amount of capital contribution that may be  
14 required for the customer to complete that expansion work.

15 MR. LADANYI: And you take into account, let's say,  
16 the system or the feeder that this development would be  
17 connected to and, if it needs a feeder expansion is  
18 required or a new larger transformer needs to be installed,  
19 do you calculate the revenues that you're going to get from  
20 this development?

21 If the revenues are insufficient -- and I think the  
22 period is 25 years in the Distribution System Code, so a  
23 present value of 25 years of revenues -- then you would ask  
24 a developer to pay a contribution. Would that be right?

25 MS. NARISSETTY: Yes, we compare the revenues to the  
26 costs, and, based on how that all comes out to, a  
27 contribution may be required if the revenues are not  
28 offsetting the costs.

1 MR. LADANYI: I'm not going to ask. I asked  
2 interrogatory, and you have aggregate amount of  
3 contributions, so I'm not going to ask specifics, I'm going  
4 to trust that you're looking after the interest of rate  
5 payers, so the rate payers are not forced to the subsidize  
6 condominium developers. I trust you that you are looking  
7 after your interest.

8 MS. NARISSETTY: Yes, and I can confirm, yes, all of  
9 this evaluation, and all of the connections and the  
10 processes are in accordance with the Distribution System  
11 Code.

12 MR. LADANYI: Now, I had a few questions related to  
13 the Nexant report, value of service. I understand from the  
14 responses that you were unable to contact Nexant. And has  
15 that changed at all, have you now contacted Nexant?

16 MR. HIGGINS: As to whether or not contact was made  
17 specifically, I don't know, but I do know that the  
18 individuals who worked on the report are no longer with the  
19 company.

20 MR. LADANYI: So, I'm not going to follow-up with  
21 these questions specifically or ask you for undertakings.  
22 I just want to understand what is the status of this Nexant  
23 report? Are we to essentially not put much weight to it  
24 because the situation has changed? Or are you saying --  
25 what is your position now that the company -- the  
26 consultant has changed and this report was done many years  
27 ago?

28 MR. HIGGINS: Our view on it is that the study remains

1 valid. We're confident in the values. They've been  
2 applied in a couple of different ways in the evidence, and  
3 they play a role internally within our asset management  
4 system. And, yes, we continue to stand by the study. The  
5 study was done in way that's kind of well established in  
6 the industry by folks who were experts at the time in value  
7 of service calculations and surveys, following best  
8 practices. And I think in a number of different IR  
9 responses, we've addressed our view on the study and the  
10 validity of the results.

11 MR. LADANYI: So, if I can ask you this, this is not  
12 from Nexant, but what are the objectives of the value of  
13 service study? And that would be in 2B-CCMBC-4.1.

14 MR. HIGGINS: I believe it's there in the preamble to  
15 the question, Mr. Ladanyi.

16 MR. LADANYI: Thank you for putting it on the screen.  
17 And if I notice at the bottom, it says impact of renewables  
18 in electric vehicles on both event and duration costs.

19 So, the time you actually commissioned this study,  
20 were you concerned that your renewables and electric  
21 vehicles can have an impact on events, I presume the SAIFI  
22 and SAIDI, on both event and duration costs of incidents?

23 MR. HIGGINS: It was a topic of interest at the time.  
24 While it was scoped in as a desired objective, I believe,  
25 subject to check, that ultimately the data -- there were  
26 limitations and ultimately pursuing that level of analysis,  
27 that granularity analysis at that time, which is not  
28 surprising, given this is a number of years ago. But...



1 MR. LADANYI: Are you still concerned about the  
2 impacts of electric vehicle chargers, for example, and  
3 renewable DERs on SAIDI and SAIFI? Because my  
4 understanding is this is from another interrogatory, that a  
5 level 2 charger at peak is equivalent to roughly five  
6 homes, and so therefore, many level 2 charges at a peak on  
7 a single street can actually knock out the power on the  
8 street. That would be a concern, wouldn't it?

9 MR. HIGGINS: So, I think you're talking about  
10 reliability now. If I can just clarify, what we're talking  
11 about here is establishing the event and duration cost, so  
12 essentially what would the customers' willingness to pay be  
13 to avoid an outage. And we expect directionally, I'm not  
14 sure about DERs exactly, that's much more complicated, but  
15 for electric vehicles, we would expect that if a customer  
16 is relying on electricity for their vehicle as opposed to a  
17 traditional ice vehicle, that they would be more sensitive  
18 to interruptions and therefore more willing to -- that's  
19 the hypothesis -- more willing to pay to avoid the  
20 interruption. So, that's kind of what we were looking to  
21 study here, but I just don't think we were able to do it  
22 given the limitations at the time.

23 MR. LADANYI: That's very interesting, because I  
24 represent a client who feels that the customers who cause  
25 problems should pay for them and who assign greater value  
26 to things should actually pay for it as well. So, if you  
27 have an electric vehicles charger, a level 2 charger, you  
28 should be charged a surcharge, this is what I believe. And

1 many jurisdictions would have that. I know that Ontario  
2 doesn't, but I'm trying to explain where I'm coming from.  
3 And I think these are all my questions right now for CCMBC.

4 Now, if I can go on to my questions for Energy Probe,  
5 Mr. Murray?

6 MR. MURRAY: Please proceed.

7 MR. LADANYI: Thank you. So, as you know, I also  
8 represent Energy Probe, and for those that are not familiar  
9 with Energy Probe, Energy Probe is one of the oldest  
10 intervenors in these proceedings it's been involved with  
11 OEB proceedings for about 40 years. I was not involved  
12 with Energy Probe, I've only been involved with Energy  
13 Probe for the last six years. So, Energy Probe has a lot  
14 of history, I won't tell you too much about it. You can  
15 look up on their website as well.

16 So, if you can turn to active 2B-EP-25. Now, that  
17 question, I asked several questions regarding how Toronto  
18 Hydro plans to add capacity for customers to connect  
19 additional DERs. And you answered that Toronto Hydro uses  
20 historical data to forecast the likelihood of DER  
21 connection locations. Can you please provide more detail  
22 on precisely what types of historical data is used for that  
23 forecast? For example, do you only use data on how many  
24 DERs were connected in that neighbourhood in the past, or  
25 do you look at historical -- do you also look at historical  
26 and changing trends for demographics, income, home prices  
27 and other factors?

28 MR. HUNTLEY: In preparation of the DER forecast, the

1 historical trending for the localized areas provide the  
2 major inputs into the forecast model.

3 MR. LADANYI: I'm trying to understand. Could you --  
4 I'm having difficulty. So, what did you mean by that,  
5 sorry? Could you explain it further?

6 MR. HUNTLEY: We look at the history of connections in  
7 a particular area, we aggregate that and we model it going  
8 forward, taking into consideration any policy changes that  
9 may have driven adoption, as we forecast going forward.

10 MR. LADANYI: So, if I understand what you're saying,  
11 if an area, let's say, such as -- this is just an example,  
12 it's a Forest Hill, has a lot of DERs, you would then make  
13 sure that you would look for -- you would expect further  
14 expansion in Forest Hill versus an area like Parkdale, that  
15 doesn't have many DERs, you would not be doing anything  
16 there? Is that what I understand you just said?

17 MR. HUNTLEY: I wouldn't quite characterize it that  
18 way, Mr. Ladanyi. Toronto Hydro provides non-  
19 discriminatory access to the grid, regardless of where you  
20 live. If a need arises that requires a connection, we do  
21 what is necessary to enable that connection.

22 We also make proactive investments that would remove  
23 barriers to connection of DERs. So, under those  
24 circumstances, we would assess it on an as-needed basis,  
25 and make appropriate investments to enable that particular  
26 technology.

27 MR. LADANYI: So, has Toronto Hydro performed any  
28 analysis on where capacity for additional DERs is made

1 available to customers, whether DER capacity is being  
2 allocated across the city in an equitable manner?

3 MR. HUNTLEY: Quarterly Toronto Hydro publishes a  
4 restricted feeder list that outlines areas of the city that  
5 have restrictions to connect to DERs.

6 MR. LADANYI: And that may or may not be equitable?  
7 That's, essentially, information for the public, and the  
8 public will then take advantage of it, if they can. If  
9 they can afford a DER, let's say.

10 And DER now, we are talking about members of the  
11 public. Essentially, from what I understand, we are  
12 talking about rooftop solar, and possibly batteries they  
13 might be exporting into the grid. Is that what we are  
14 talking about, now?

15 MR. HUNTLEY: One moment. Could you repeat your  
16 question again, Mr. Ladanyi, just for clarity?

17 MR. LADANYI: Yeah, this is -- I think DER is an  
18 unfortunate term because it encompasses so many different  
19 appliances, or let's say installations.

20 And my question specifically was the residential DERs;  
21 I was discussing DERs that would be on residences. And I  
22 guess a related question is this, that only certain  
23 residences can in fact have a DER. You have to have a  
24 roof, for example, to have a solar panel, unless you are in  
25 a building where you access to the roof, no solar panel.  
26 Let's say renters in apartment buildings cannot have DERs;  
27 maybe the owner can have a DER, but certainly the renters  
28 can't have it.

1           So we are really talking about single or semidetached  
2 buildings, where the single family typically, where they  
3 would be -- somebody would access to the roof. The owner  
4 would, or residents would have access to the roof. And  
5 they could also have a battery in the basement, if they can  
6 afford that. And so that's what we're talking about, when  
7 we are discussing DER in this question.

8           And many people in Toronto, as you know, cannot do  
9 that. They don't have access to the roof; they live in  
10 apartments, they don't have access to the basement. They  
11 can't have a DER in their apartment; the landlord wouldn't  
12 allow it, or on their balcony. So this is what we are  
13 talking about.

14           So perhaps equitable access is really dependent on the  
15 condition under which residents live. And I want to know  
16 how you are dealing with this, that the capacity is being  
17 allocated in an equitable manner?

18           MR. KEIZER: I don't understand how that's necessarily  
19 a fair question. The panel is here to talk about the plan  
20 it has put forward, not necessarily how to address the  
21 issues about housing and how the housing is implicated or  
22 impacted on DERs. That's more of an issue of policy with  
23 respect to how that gets dealt with.

24           The wires are where they are, and the attachments are  
25 taking place, you know, not through Toronto Hydro. So I am  
26 not sure it's really fair to say, how are you addressing  
27 the inequities associated with the actual physical  
28 structures that are across its system?

1 MR. LADANYI: Thank you, Mr. Keizer. Actually, in  
2 every one of these technical conferences, I look forward to  
3 objections from Mr. Keizer; he always objects to some of my  
4 questions. So my day has been made today. But I will  
5 actually deal with that, either in a hearing or in the  
6 argument.

7 So can you turn to interrogatory 2B-EP-26? In that  
8 question, I asked several questions regarding how Toronto  
9 Hydro addresses very short power outages of a few seconds  
10 or minutes, in view of the shift to more people working  
11 from home. In your response C, you answered that:

12 "Momentary outages are not considered as  
13 interruptions for a customer working from home  
14 experiencing frequent momentary outages not  
15 captured by Toronto Hydro's outage management  
16 system. Does Toronto Hydro view this as a  
17 problem?"

18 MR. HIGGINS: Sorry, can I clarify one part of -- I am  
19 not sure if you are just reading the question, but did you  
20 say not captured in our outage management system?

21 MR. LADANYI: Yes. I think it's not captured. But if  
22 you tell me that it is captured, then please take me there  
23 and explain to me how it is captured.

24 MR. HIGGINS: Yes. Some of them are. It just depends  
25 on where we have the necessary SCADA. So on some of our  
26 lower voltage legacy parts of the system, we can't capture  
27 momentaries accurately. But on other parts, we can. So,  
28 partially, we can see. Yes.

1 MR. LADANYI: Your objective is to at some future date  
2 be able to do it for the whole city. Is that right?

3 MR. HIGGINS: That would be ideal. Yes.

4 MR. LADANYI: So I note that any loss of power, no  
5 matter how short, while on a work video call from home, for  
6 example -- like, I think people are on a video call right  
7 now -- can be very detrimental to the customer, even if  
8 Toronto Hydro does not view it as an interruption.

9 But you were telling me you are going to -- in the  
10 future, you intend to view these as interruptions. Is that  
11 right?

12 MR. HIGGINS: Maybe just to clarify, because there is  
13 maybe a semantic, A formal semantic issue here.

14 MR. LADANYI: Yes.

15 MR. HIGGINS: Interruptions is a defined term in, I  
16 guess, the reporting guidelines for reliability from the  
17 Ontario Energy Board, and as well as nationally. And it is  
18 in Canada, just stating the obvious, I guess, it is longer  
19 than a minute. Everything is counted as a sustained  
20 interruption. So a momentary, or momentary interruption,  
21 it is still an interruption, but it's just less than a  
22 minute.

23 MR. LADANYI: So how would a customer report such  
24 outages? Can they contact Toronto Hydro and say "I have a  
25 lot of these momentary outages, and I am trying to work  
26 from home, and this is a big problem for me."

27 How do they report this?

28 MR. HIGGINS: Yes, they can report it. The processes

1 and feedback that we received around that may be better  
2 addressed by our customer care folks on panel 2. But we do  
3 welcome that feedback, whenever we can get it.

4 MR. LADANYI: Maybe you can answer, because I  
5 understand this is more like a management team here, so you  
6 guys are let's say managing the policy. So how does  
7 Toronto Hydro decide whether to investigate and fix issues  
8 causing, like, short outages?

9 MR. HIGGINS: Sorry, I was just conferring to come up  
10 with a concise response.

11 We do have a customer experience and reliability team  
12 within our division. And we take input from numerous  
13 channels, including customer complaints, but also, where  
14 possible, records of momentary interruptions. And we will  
15 look at those together with sustained interruptions and  
16 ultimately make a determination on where our resources will  
17 go in terms of follow-up investigations.

18 We manage most of that through, for example, our worst  
19 performing feeder program, where we would do feeder patrols  
20 and make decisions about, are we going to do additional  
21 spot tree trimming and things like that. So there's sort  
22 of a programmatic approach around it.

23 MR. LADANYI: In your response to part A, you mention  
24 the network management system upgrade. Can you provide  
25 specific examples of how will the network management system  
26 address the problem of very short losses of power to  
27 residential customers working from home, differently than  
28 the current system does?



1 MR. HIGGINS: So, the experts on panel 2 can probably  
2 give you a better, more -- discussion of the functionality  
3 and capabilities of the network management system.

4 I will say just generally as part of upgrades,  
5 including not just the NMS, but also the implementation of  
6 Oracle utility analytics. We are just capturing in a more  
7 automated way, better information about outages and how  
8 they are unfolding and impacting the system at a localized  
9 level.

10 So we do expect that we will have improved information  
11 and analytics going forward, which will inform better  
12 decision-making.

13 MR. LADANYI: Can we turn to 2B-EP-27. Now, in that  
14 question, I asked several questions regarding Toronto  
15 Hydro's data showing the number of outages by unknown  
16 causes, which increased up to 2022.

17 In your responses A and B, you answered that about  
18 two-thirds of interruptions lasting between one to five  
19 minutes are attributed to unknown causes. Now, for a  
20 person working from home, experiencing frequent short  
21 interruptions between one to five minutes, Toronto Hydro is  
22 suggesting that many of those interruptions are caused by  
23 unknown causes. Should people in that situation, where  
24 short power outages are common, accept that their power  
25 will randomly go out for unknown causes from time to time  
26 as a reality of working from home?

27 MR. HIGGINS: So, as I think we described in this  
28 response, Mr. Ladanyi, there are operational and technical

1 reasons why we experience some amount of unknown outages.  
2 There's always some proportion of unknown outages that  
3 occur, and they are generally on the shorter end. That is  
4 essentially what makes them unknown, is they are somewhat  
5 self-clearing, and so we are able to restore power without  
6 much investigation, and then often we can't figure out  
7 after the fact what actually caused the outage in the first  
8 place. So they're unknown, and, just inherently, that's  
9 the nature of them.

10 The other thing we discussed in this interrogatory  
11 response is, because of the nature of our service  
12 territory, our relationship with Hydro One, the density of  
13 our infrastructure, the tree canopy, et cetera, the number  
14 of contractors who are working on and around our lines at  
15 any given time, not just our own contractors but other  
16 contractors doing other kinds of work, our system is often  
17 in a state of hold-off, which means essentially, if there  
18 is an interruption and the breaker opens, we would not  
19 automatically reclose that; we would hold it off. That's  
20 for safety of the public and folks working around our  
21 lines.

22 Now, in terms of the actual trend of unknown outages,  
23 I think, like with anything in the world of reliability, it  
24 varies from year to year, and we can't necessarily a  
25 hundred percent explain why certain things go up and down  
26 from year to year.

27 But we do -- we are making a number of investments  
28 across our capital and operational program which I won't go

1 on at length here about. But our distribution system plan  
2 in general addresses causes of outages, and many of those  
3 causes of outages will be -- by making those investments,  
4 rather, we will be helping to control the number of unknown  
5 outages because those investments do deal with incipient  
6 equipment failures. We could have a piece of equipment  
7 that is on the verge of failing and is causing these kinds  
8 of short interruptions. By rebuilding overhead lines, we  
9 could be helping to mitigate future tree impacts, things  
10 like that. So we would expect the investment plan to help  
11 manage this part of our reliability metric.

12 MR. LADANYI: And you keep track of what's causing it?  
13 Like, in case you find out what was the cause for an  
14 interruption, you can kind of keep track of these and then  
15 use that to design a program to prevent these in the future  
16 as much as possible. Would that be right?

17 MR. HIGGINS: So, if there are a lot of unknown  
18 outages on a feeder, we will go and investigate the  
19 situation to try to get to the root cause of what's  
20 happening. For example, one of the new ways that we are  
21 doing that now is cable testing. So we will go and test  
22 cables, a section on -- sorry, sections of cable on poor-  
23 performing feeders to figure out: Is there something going  
24 on that we can't see that is causing these issues? So that  
25 is just an example. Sorry, I don't know if I answered your  
26 question.

27 MR. LADANYI: Yes, I think you're doing good.

28 MR. HIGGINS: Okay.

1 MR. LADANYI: You don't have to say anything more.  
2 Now, I live in an older part of city, where there are  
3 overhead conductors, and I think it was last year or  
4 perhaps the year before there was -- suddenly, the power  
5 went out, and, within a short time, there was a crew from,  
6 I think, your contractor to power line out. I went and  
7 asked them what happened, and they said it was a squirrel  
8 that had jumped on -- I guess there's a transformer there,  
9 and essentially shorted it, and the squirrel of course did  
10 not survive. They showed me the remnants of the squirrel.  
11 And they said they have lots of examples of this happening  
12 across the city. So would that be kind of something that  
13 you would keep track of generally?

14 MR. HIGGINS: Yes. I guess a moment of silence for  
15 the squirrel.

16 MR. LADANYI: I felt sorry for the squirrel, yes.

17 MR. HIGGINS: I shouldn't joke.

18 MR. LADANYI: Well, short of putting a cage around  
19 each transformer, you can't do that to keep squirrels out.

20 MR. HIGGINS: Well, we do. We do put animal guards  
21 on --

22 MR. LADANYI: Yes.

23 MR. HIGGINS: -- parts of the system that don't have  
24 them, and we will go and replace animal guards if we're  
25 having issues, so it is part of how we mitigate issues,  
26 yes.

27 MR. LADANYI: Thank you. Can we go to interrogatory  
28 2B-EP-28. So I think there were a number of questions

1 earlier in the proceeding or technical conference about  
2 heat pumps. In question D, I asked Toronto Hydro:

3 "Does Toronto Hydro have a plan in the event that  
4 there are significantly more customers install  
5 heat pumps in a particular area than  
6 anticipated?"

7 You answered that:

8 "Toronto Hydro decided to take a wait-and-see  
9 approach to investments in new capacity for  
10 accommodating wide-scale building electrification  
11 in the mid-2030s and beyond."

12 Can you clarify: Does that mean that Toronto Hydro  
13 does not expect home heat pumps to be adopted on a wide  
14 scale before mid-2030s?

15 MR. HIGGINS: I think what we're waiting to see is  
16 evidence that that adoption trend is occurring.

17 MR. LADANYI: But, so far, it's not really? You have  
18 not seen evidence?

19 MR. HIGGINS: It's a question that we continue to  
20 study, so not at this moment, no.

21 MR. LADANYI: Some individuals, let's say, would  
22 expect that it will be faster, and some people think it  
23 will be slower, and you're kind of on the sidelines,  
24 watching what's happening.

25 MR. HIGGINS: We're watching closely. I think one of  
26 the things that the future energy scenarios showed was  
27 that, in addition to growth on the demand side from heat  
28 pumps, there is a lot of at least theoretical potential in

1 terms of thermal efficiency through building retrofits and  
2 other kinds of efficiency which could offset some of that  
3 growth. So we're keeping our eyes on a couple of different  
4 key factors that could ultimately could swing demand over  
5 time.

6 MR. LADANYI: Thank you. Can you turn to  
7 interrogatory 2B-EP-29. This interrogatory deals with EV  
8 chargers, and, in question D, I asked:

9 "How will Toronto Hydro ensure that it does not  
10 pick certain neighbourhoods to provide sufficient  
11 capacity for future EV charging but not other  
12 neighbourhoods?:

13 And you answered that:

14 "Toronto Hydro is planning to enhance its ability  
15 to address highly localized impacts of EV  
16 proliferation."

17 At what point in time is Toronto Hydro expecting the  
18 majority of single-family homes in its service area to have  
19 at least one EV charger, if ever?

20 MR. HIGGINS: I don't think we've looked at the  
21 question in quite exactly that way, Mr. Ladanyi.

22 MR. LADANYI: Okay. Can you answer it in the way you  
23 looked at it? I mean, you provided a written answer, but  
24 you are not -- are you expecting in some ways that, at some  
25 time in the future, every home will have an EV charger, or  
26 are you not? That's what I would like to know because I'm  
27 actually not, but let's see what you're expecting.

28 MR. HIGGINS: Sorry, just a moment. It's not a

1 scenario the timing of which and likelihood of which we've  
2 considered, Mr. Ladanyi.

3 MR. LADANYI: So, in some neighbourhoods, there will  
4 be early adopters. Maybe they will all congregate in one  
5 area -- I don't know -- the annex, let's say, or who knows  
6 where or somewhere in North York, and they will have EV  
7 chargers. Some other place, somewhere in Scarborough  
8 maybe, there will be no EV chargers. So you really don't  
9 know how this is going to go, do you?

10 MR. HIGGINS: It might be better for my colleague to  
11 speak to this.

12 MR. HUNTLEY: With respect to the distribution of  
13 charging infrastructure or DERs for that matter within the  
14 service territory, there is expectation there will be  
15 variability across the territory. We have not forecasted  
16 to the granular level what that variability is, but our  
17 forecast does contemplate there's variability across the  
18 service territory.

19 MR. LADANYI: Actually, let's say I agree with your  
20 approach, I'm not disagreeing with it, just so you don't  
21 take it the wrong way. I think it would not be right for  
22 Toronto Hydro to overbuild the system, expecting mass  
23 adoptions of EVs, EV chargers and DERs, and then have the  
24 rest of the rate payers pay for this at much higher rates,  
25 unless there is actual revenues from people who will be  
26 using DERs and EVs. And I appreciate your approach, I am  
27 not disagreeing with it.

28 Now, if you can please turn to 1B-EP-3. And that

1 interrogatory deals with what you call sustainable  
2 communities. And I asked in question D:

3 "Do sustainable new housing communities impose  
4 additional costs on Toronto Hydro than do  
5 existing communities?"

6 Your answer was:

7 "Sustainable new housing communities do not incur  
8 additional costs, nor are they treated  
9 differently from other customers."

10 Actually, I was surprised by that answer. Would homes  
11 in sustainable new communities use electric heat pumps  
12 instead of gas furnaces?

13 MS. NARISSETTY: It's a possibility.

14 MR. LADANYI: So, the answer is yes? That's what you  
15 expect. And would these homes use electric water heaters  
16 instead of gas water heaters?

17 MS. NARISSETTY: Perhaps.

18 MR. LADANYI: So, I would say, again, likely. And  
19 would they use electric stoves instead of gas stoves?

20 MS. NARISSETTY: Again, it's a consumer choice, so.

21 MR. LADANYI: So, based on your more or less agreeing  
22 with me, wouldn't these sustainable new communities have  
23 higher peak load than existing communities that are  
24 unsustainable?

25 MS. NARISSETTY: I think that's a very simplistic  
26 statement, because there could be many reasons. A customer  
27 may have a higher load demand. Perhaps, you know, an  
28 electric vehicle charging station, or a heat pump, or, you



1 know, more recently that we're seeing, with the policies  
2 encouraging multiplex development, so just having, you  
3 know, in the same unit of land, encouraging multiple units  
4 of homes to be built. Or even, you know, just using more  
5 efficient appliances. They all can have a role in terms  
6 of, you know, whether they increase the total demand or if  
7 they are, again, using more efficient appliances, even  
8 decrease the total demand.

9 MR. LADANYI: And you feel that that can completely  
10 offset the greater load because they are more electrical  
11 appliances instead of gas appliances?

12 MS. NARISSETTY: Sorry, what would offset?

13 MR. LADANYI: You're essentially saying they would not  
14 use more electricity because they're using more efficient  
15 appliances would actually offset the fact that they're  
16 using electricity for all these appliances instead of gas,  
17 is that is that what you're saying?

18 MS. NARISSETTY: It is a possibility. And, you know,  
19 and to also clarify your previous question, which was, you  
20 know, the drivers for what is contributing to the increased  
21 load or the peak demand could be various. And not  
22 necessarily just these sustainable new housing.

23 MR. LADANYI: But there's a possibility that these  
24 sustainable communities will need larger transformers and  
25 other equipment to deal -- to provide them with sufficient  
26 capacity, and the meter load needs?

27 MS. NARISSETTY: If they have a higher demand for  
28 electricity, yes.

1 MR. LADANYI: So, Energy Probe is concerned that  
2 customers in existing communities, which is most of the  
3 customers that you have, are being forced to subsidize  
4 these new sustainable communities. And that was the  
5 subject of question E and your answer mentions cost  
6 allocation. So, how would you use cost allocation to  
7 ensure that the customers in existing communities don't end  
8 up subsidizing sustainable communities?

9 MR. KEIZER: I don't know if this is an appropriate  
10 question for this panel.

11 MR. LADANYI: Which panel should I ask?

12 MR. KEIZER: Well if we're talking about cost  
13 allocation, that would be panel 3.

14 MR. LADANYI: All right. Cost allocation, very good.  
15 I mean, I think the interrogatory response mentions cost  
16 allocation, I was wondering how that would be done, but I'm  
17 scheduled to ask panel 3 some questions, so I should be  
18 there -- I'll be there to ask these questions.

19 Now, if you can turn to 1B-EP-5. Now, in question A I  
20 asked you to confirm that customers who owned DERs impose  
21 additional cost on Toronto Hydro. And you confirmed that.  
22 Thank you.

23 I also wanted to follow-up this with a somewhat  
24 related question. I understand that building code requires  
25 that all buildings with more than six stories must have  
26 standby power supply. And most of these are gas fire  
27 generators. Would you consider these to be DERs or not?

28 MR. KEIZER: The first question is whether they are in

1 a position to verify the building code that you've  
2 suggested.

3 MR. LADANYI: You can look it up. You know, if you  
4 want to do an undertaking to check the building code.

5 MR. KEIZER: Anyway, let's -- Mr. Huntley may be able  
6 to take the question, but maybe on the basis of if someone  
7 has supplementary power, emergency power in their building,  
8 is that DERs, without getting into the building code.

9 MR. HUNTLEY: I would say that's a yes, Mr. Ladanyi.

10 MR. LADANYI: Thank you. So, if we were to actually  
11 walk around this area, and be able to go inside, you would  
12 probably find out that every single one of these towers  
13 across the street and so on, has a big gas powered  
14 generator in the basement to run the elevators when their  
15 power goes out, otherwise if there's no power, there's no  
16 running water above a certain height. There's also people  
17 can't get to their apartments, the power is required all  
18 the time. So, that's what I'm talking about. And you know  
19 that, of course.

20 Sort of back to the interrogatory, in question B. I  
21 asked:

22 "Does Toronto Hydro require new customers who are  
23 installing DERs to pay a contribution to offset  
24 the cost they impose on Toronto Hydro?"

25 MR. KEIZER: Sorry, Mr. Ladanyi, do you have a  
26 question there? Or?

27 MR. LADANYI: Yes, the question was does Toronto Hydro  
28 charge customers who own DERs who impose additional costs

1 on Toronto Hydro, does it charge them a contribution or a  
2 charge? Or does it charge them nothing?

3 MR. KEIZER: And isn't the answer on the screen in  
4 response B?

5 MR. LADANYI: It says "it complies with the  
6 requirements of the Distribution System Code, and I'm  
7 trying to understand how is this covered in the  
8 Distribution System Code. You are free to take me to the  
9 Distribution System Code and explain how you apply the  
10 Distribution System Code to calculate whether contribution  
11 is required.

12 MR. KEIZER: Well, I don't think we need to go through  
13 the Distribution System Code. But I mean it is there and  
14 it's a public document, it's part of the Board's codes.

15 MR. LADANYI: Okay, Mr. Keizer, the Distribution  
16 System Code is a very large document, and I would like an  
17 undertaking then. Specific references to different parts  
18 of the Distribution System Code which explain how you would  
19 do that. Can we have an undertaking, please?

20 MR. KEIZER: That's fine. So it's basically how  
21 Toronto Hydro applies the Distribution System Code to  
22 calculate the capital cost --

23 MR. LADANYI: In this instance, not in general terms.

24 MR. KEIZER: In accordance with, in respect to the  
25 question that's on the screen, right? EP-5?

26 MR. LADANYI: Yes. Yes.

27 MR. MURRAY: That will be Undertaking JT2.17.

28 **UNDERTAKING JT2.17: TO RESPOND TO 1B-EP-5B, AND**

1           **DESCRIBE HOW TORONTO HYDRO APPLIES THE DISTRIBUTION**  
2           **SYSTEM CODE.**

3           MR. LADANYI: So if we can go to 1B-EP-9? And here, I  
4 asked:

5           "What percentage of expenditures on OMC, FLISR and  
6 volt-wire optimization required to enable reliable and  
7 efficient management of DERs, and what percentage of  
8 expenditures are required for other reasons?"

9           And then you explained that you cannot actually  
10 disaggregate this. I understand your answer is that some  
11 of these expenditures are acquired for DERs, but others are  
12 required for other reasons, and you cannot separate them.  
13 Is that what your answer is?

14          MR. HIGGINS: I think the answer would be better  
15 characterized as these investments are investments that we  
16 are making generally for the purposes stated in the  
17 response, to reduce frequency and duration of outages,  
18 improve resiliency, et cetera.

19          There are aspects of these tools that do provide  
20 capabilities in respect of managing DERs that sort of come  
21 along with these ADMS upgrades. If you wanted to know sort  
22 of the particulars of that, I think panel 2 would be better  
23 positioned to speak to those investments in detail.

24          MR. LADANYI: All right. Please turn to 4-EP-33. So  
25 in question A, I ask:

26                 "Does Toronto Hydro charge customers for behind-  
27 the-meter connections of electrical vehicle  
28 chargers, solar panels and storage batteries?"

1           And if the answer is yes, please list such  
2           charges and indicate if they are expected to  
3           recover Toronto Hydro's incremental costs. If  
4           the answer is no, please explain why not."

5           And if I see response A, and I read your response A, I  
6           read it as you may be charging something or you may not be  
7           charging something. Is that right? Or maybe you can  
8           explain to me what you are actually saying, in response A?

9           MS. NARISSETTY: So, yes, if a customer is undergoing a  
10          service upgrade or a new connection, either as a result of  
11          an EV charger being installed or any other increased  
12          demand, it follows our, you know, processes as set out in  
13          our conditions of service. And we treat it accordingly, to  
14          calculate any connection charges to help make that  
15          connection.

16          MR. KEIZER: Sorry, just to clarify, not about the  
17          questioning, but in terms of schedule, are we coming up on  
18          a break time?

19          MR. MURRAY: We are. I was hoping to get to the end  
20          of Mr. Ladanyi's questions. But perhaps, Mr. Ladanyi, are  
21          you going to be much longer?

22          MR. LADANYI: No. This is actually my last  
23          interrogatory that I am referring to. So I probably have a  
24          couple more questions here, and maybe take another three or  
25          four minutes, and then we are finished.

26          MR. MURRAY: If the witness panel is prepared to push  
27          through, I would propose that we push through and finish  
28          Mr. Ladanyi's questions, and then we start with OEB Staff.

1 MR. KEIZER: That's fine.

2 MR. LADANYI: So some DERs are for load displacement  
3 and some are -- also export power into the grid. Is the  
4 connection process more complicated for exporting DERs?

5 MR. HUNTLEY: There are various levels of complexity  
6 depending on the size of the DER that would be exporting to  
7 the grid. The larger the DER, the more complicated the  
8 connection, because of the greater protection and control  
9 measures that have to be taken to protect the grid and the  
10 stability of the grid.

11 MR. LADANYI: So there's a possibility that you would  
12 actually charge customers which have a more complicated  
13 connection, some kind of a charge? I don't know cost, I  
14 don't know how you would calculate that.

15 MR. HUNTLEY: As part of the connection process for  
16 DERs, protection and control costs are included in the  
17 connection.

18 MR. LADANYI: Included in what? In what the customer  
19 is charged?

20 MR. HUNTLEY: That is correct, yes.

21 MR. LADANYI: Yeah. It's not like free, for  
22 everybody?

23 MR. HUNTLEY: Absolutely not.

24 MR. LADANYI: But it varies, upon what it is --

25 MR. HUNTLEY: Yes.

26 MR. LADANYI: -- based on the hours and staff  
27 involvement. Is that right?

28 MR. HUNTLEY: Yes, that's correct.

1 MR. LADANYI: At the bottom of page 2, you mention  
2 asset and program management. And you say:

3 "System planning segment includes the capacity  
4 planning and grid innovation function responsible  
5 for planning the distribution system, future load  
6 requirements driven by customer growth and the  
7 requisite connection capacity to accommodate  
8 current and forecasted level of DERs in the  
9 Toronto Hydro service area."

10 Now, what is requisite connection capacity?

11 MR. HUNTLEY: In the context of this response, Mr.  
12 Ladanyi, it would mean an assessment of the ability to  
13 connect DERs, and mitigating any constraints or removing  
14 barriers to those connections, should they exist.

15 MR. LADANYI: So how is requisite connection capacity  
16 related to spare capacity?

17 MR. HUNTLEY: Can you clarify the distinction you are  
18 trying to make, Mr. Ladanyi?

19 MR. LADANYI: As I understand it, any utility system,  
20 whether it's gas or electricity, has some spare capacity on  
21 the system, and so that it's not always operating at peak,  
22 essentially. So that, you know, next incremental amount of  
23 capacity totals the whole system. So you must have -- you  
24 have some objective to have some level of spare capacity,  
25 so that your distribution system can safely operate.

26 And so requisite connection capacity as I see it, from  
27 what you have answered is probably using up some of the  
28 spare capacity. So, as I would understand it, so, as more



1 and more connections are made, spare capacity is used up.  
2 And then you have some kind of -- and then you need to  
3 upgrade the system in some way to have more spare capacity  
4 so that you can have connection capacity. So do you have  
5 an objective for the requisite connection capacity and  
6 spare capacity that you're trying to maintain?

7 MR. HUNTLEY: The clearest example I can think of that  
8 illustrates the point I think you're trying to make is with  
9 respect to the management of minimum load-to-generation  
10 ratios on specific feeders. They are established IEEE  
11 targets that we attempt to maintain. Hence, we've outlined  
12 a series of investments in our renewable enabling  
13 investment portfolio around renewable battery energy  
14 storage systems to manage that particular phenomenon.

15 MR. LADANYI: That's a very good answer. I've never  
16 heard this explained this way. Is there any way you can  
17 give me a reference to the IEEE standard that I can look  
18 up, myself? You don't have to file it. I just would like  
19 a standard.

20 MR. HUNTLEY: I know it's IEEE 1547. I will have to  
21 drill down and check the exact section.

22 MS. MARZOUGH: We do make reference to that standard  
23 in Exhibit 2B, section E7.2.

24 MR. LADANYI: 2B, E7.2.

25 MS. MARZOUGH: Yes, and it's on page 24.

26 MR. LADANYI: Page 24. I apologize for not noticing  
27 that.

28 MS. MARZOUGH: Oh, yes. It's on line 3 and on line

1 19.

2 MR. LADANYI: Very good. Thank you very much.

3 MS. MARZOUGH: No problem.

4 MR. LADANYI: These are all my questions. Thank you,  
5 panel.

6 MR. MURRAY: Thank you, Mr. Ladanyi. We will take our  
7 second afternoon break. We'll come back at 3:35.

8 --- Recess taken at 3:22 p.m.

9 --- Resuming at 3:37 p.m.

10 MR. MURRAY: We're back to the technical conference,  
11 day two, next on the list for panel 1 is OEB Staff. Mr.  
12 Wasylyk, I believe you're up first.

13 **EXAMINATION BY MR. ZANINI:**

14 MR. ZANINI: Hello, I'm Daniel Zanini, senior advisor  
15 performance analytics and reporting department, OEB Staff.  
16 My question is on 1B-EP-15. What value of loss load or  
17 value of service number did you use to justify the  
18 \$1.5 billion over the IRM scenario to prevent that  
19 reduction of reliability by 8 percent over the five-year  
20 term?

21 MR. KEIZER: Is there a part of EP-15 that you're  
22 referring to? Just so we make sure it's on the screen.

23 MR. ZANINI: No, there wasn't one specific aspect of  
24 that question, it's more the preamble regarding the  
25 1.5 billion to help reduce, or prevent the reduction  
26 reliability by 8 percent.

27 MR. HIGGINS: I'm sorry, can you just repeat the  
28 question?

1 MR. ZANINI: What's the value of loss load or value of  
2 service that was used to justify that \$1.5 billion over the  
3 IRM scenario to help prevent the 8 percent reduction in  
4 reliability?

5 MR. HIGGINS: Is the proposition that there's a --  
6 sorry, a benefit calculation that you're referring to?

7 MR. ZANINI: Yes, I'm assuming a benefit calculation  
8 was performed.

9 MR. HIGGINS: Just one moment. Sorry, it might take  
10 me a in a moment to pinpoint, but there is the benefit cost  
11 analysis. I think this is what you're referring to, I'm  
12 not totally sure, provided in exhibit 1B, tab 3, I believe  
13 it's schedule 1. And there was a value assigned. I'm just  
14 scrolling to find it here. Just one moment, sorry.

15 MR. ZANINI: To save time it doesn't have to be  
16 provided now, it can be provided later, that's okay.

17 MR. HIGGINS: I'm sorry. This is just a lengthy, 68-  
18 page section of the document, and for some reason I can't  
19 find it right now, but there is a benefit cost calculation  
20 that was performed on the benefits of the reliability  
21 scenarios that we've put forward as our plan, versus the  
22 IRM scenarios, and it is discussed in detail in that  
23 section. And the value of service would have been taken  
24 from the CIC study discussed earlier today.

25 MR. KEIZER: Is it at page 60?

26 MR. HIGGINS: Possibly. Just one moment. Yes.  
27 Exactly. Yes, thank you. So, actually the section -- the  
28 discussion begins on page 59, and so you'll find there a

1 quantification of the benefits in that section.

2 MR. ZANINI: Thanks. Sorry, second question, on 2B-  
3 EP-27, this is regarding the unknown cause codes for the  
4 interruptions. Does Toronto Hydro perform any type of  
5 audits to confirm the unknown cause codes or all its cause  
6 codes for interruptions? Because I'm assuming that it's  
7 field crews that input cause codes in you're tracking  
8 databases?

9 MR. HIGGINS: That might be a better question for  
10 panel because it does start to get into the operational  
11 tracking of outage cause codes.

12 MR. ZANINI: Okay. Thanks.

13 **EXAMINATION BY MR. WASYLYK:**

14 MR. WASYLYK: Great. Thank you, Mr. Wasylyk. Witness  
15 panel, good afternoon, my name is Josh Wasylyk, I'm also  
16 OEB Staff, senior advisor in application policy and  
17 conservation group.

18 Just a couple of areas of follow-up questions for you.  
19 These are going to touch on some areas that you discussed  
20 with a few of the other parties over the last day or so.

21 The first area is with respect to Staff interrogatory,  
22 it's 1B-Staff-89, and that is looking at the performance  
23 incentive proposal related to your LDR program. And on  
24 this one here, so I'm just going to build off a  
25 conversation you were having with Mr. Rubenstein yesterday,  
26 and this is your response to the factors and considerations  
27 that led you to conclude that the shared savings mechanism  
28 to level the playing field between the LDR program and load

1 transfer investments. And with respect to the proposed  
2 incentive for the LDR program as part of your response, you  
3 indicated that the SSM model where benefits are shared  
4 between shareholders and rate payers equally isn't  
5 preferred due to the operational and market risk and  
6 complexity associated with the successful delivery of the  
7 LDR program. And so, as I mentioned you touched on this at  
8 a high level with Mr. Rubenstein yesterday, just a couple  
9 of follow-up questions.

10 Can you discuss the operational complexities relative  
11 to the current delivery of the LDR program that you expect  
12 to see in the future?

13 MS. MARZOUGH: So, I think what we're referring to  
14 there, and maybe operational complexity is not exactly the  
15 right language, but our view is that in order to scale our  
16 current LDR program from being more targeted and pilot in  
17 nature to being a much larger program, so as you would note  
18 from the evidence, it's three times the size in terms of  
19 the capacity target, that the shared incentive mechanism is  
20 not as effective as the score card mechanism that we have  
21 put forward in terms of the supporting our capability  
22 building and continuing to scale that program up.

23 MR. WASYLYK: Okay. So, scale is maybe one of the  
24 biggest factors.

25 MS. MARZOUGH: Yes, scaling it up.

26 MR. WASYLYK: Okay. Thank you. So then, I guess, on  
27 a related slant, can you also discuss what market risks  
28 you're referring to from your response?

1 MS. MARZOUGH: Sure. So, actually I believe in  
2 another Staff IR, it was Staff-88. We talk about the key  
3 factors that influence our ability to go out and do these  
4 procurements. And we speak specifically on page 2 about  
5 the market dynamics. So, we talk about the fact that there  
6 are competing programs and that these things have to be  
7 taken into account when you go out and design procurements,  
8 and that's something we have to manage as a risk. And then  
9 we do speak about this in our evidence as well, that this  
10 is a risk that we feel that we have gained a good deal of  
11 experience with managing, so we're confident that we can  
12 handle it, but that's what we're referring to.

13 MR. WASYLYK: Okay. Thank you for that response.  
14 Continuing along that, you indicate that an appropriate  
15 scale then for the shareholder incentive, as you just  
16 alluded to there, is forgone utility ROE, which is  
17 approximately 3.2 million, that it would otherwise be  
18 eligible to earn on the required load transfer capital  
19 projects. Which I think the proposed LDR program is  
20 proposed to replace. Have I characterized that correctly?

21 MS. MARZOUGH: Yes, that's correct.

22 MR. WASYLYK: Great. So, then to just help my  
23 understanding here, if Toronto Hydro proceeds with the LDR  
24 program, would the capital that would have been used for  
25 the load transfer projects potentially be redeployed to  
26 other identified capital projects?

27 MS. MARZOUGH: So, in terms of the program that we've  
28 put forward, we have assumed that we would avoid or defer

1 that capital in this rate period.

2 MR. WASYLYK: So then, potentially, the capital that's  
3 avoided or deferred could then be used for other projects?

4 MS. MARZOUGH: It hasn't been considered as part of  
5 the plan that we have put forward.

6 MR. WASYLYK: Okay. Okay, that's fair. Finally, on  
7 this area, can you discuss how Toronto would proceed should  
8 it not be approved for the LDR program as proposed,  
9 including the performance incentive?

10 MS. MARZOUGH: So do you mean specifically, if we  
11 were not approved for the performance incentive? Or if we  
12 were disallowed to do the program.

13 MR. WASYLYK: Yeah, maybe say that the program is  
14 approved, but the performance incentive is altered in such  
15 ways.

16 MS. MARZOUGH: Well, we have been -- I don't know  
17 if --

18 MR. KEIZER: I think that would be dependent upon what  
19 the Board decided, and what was in the Board's decision at  
20 the time as to what they decided to do. I think it is a  
21 hypothetical, asking us to --

22 MR. WASYLYK: Okay. That's fair, we can save this  
23 question. Moving on, so those are the questions related to  
24 the LDR program. Thank you for those.

25 I have a couple of additional questions that flow from  
26 the BCA calculation that you provided; that is in response  
27 to 1B-Staff-49, appendix A. It's the Excel file. I have  
28 reserved those for panel 3. I don't know if that's best

1 for me to wait, or go ahead and ask.

2 MS. MARZOUGH: It depends on the question.

3 MR. WASYLYK: Okay. Maybe I will just go through them  
4 and, if they are better for panel 3, you can just indicate  
5 as much --

6 MS. MARZOUGH: Sure.

7 MR. ASYLUM: -- and I will save them for there. Okay.

8 So I think this first one is an easy one; I just need  
9 the confirmation, just because, as I think you know, the  
10 OEB was in the process of developing its BCA guidance, as  
11 you have assembled the application and filed it. That  
12 subsequently went out in December, by mid-December. And so  
13 I appreciate you taking the efforts to get things in so  
14 that we could review those. But I just want to confirm  
15 consistency.

16 So as part of your response to 1B-Staff-89, part D,  
17 you indicated that the WACC used for the BCA analysis is a  
18 nominal WACC that includes inflation. And I think the  
19 figures there was the WACC used was 4.17 percent, and  
20 inflation assumed at 2 percent. Is that correct?

21 MS. MARZOUGH: Correct.

22 MR. WASYLYK: And I think in the BCA calculator, that  
23 is shown as those two numbers just added together for 6.17  
24 percent.

25 MS. MARZOUGH: Correct.

26 MR. WASYLYK: Yeah, okay. Perfect. Thank you, for  
27 that.

28 Now, as I just mentioned, I appreciate that the OEB's



1 BCA framework and calculator wasn't available. In order to  
2 help us assess the consistency with what you put together  
3 in the OEB's recent direction, would you undertake to  
4 complete the OEB's BCA calculator, which is named the draft  
5 phase 1 BCA reporting template, with the inputs that you  
6 have included in your BCA calculator?

7 MR. KEIZER: Yeah, I think that's no problem.

8 MS. MARZOUGHI: Yes, we can do that.

9 MR. WASYLYK: Thank you, very much. I appreciate  
10 that. And then finally --

11 MR. MURRAY: Mr. Wasylyk, before we move on --

12 MR. WASYLYK: Yes. Sorry, Mr. Murray.

13 MR. MURRAY: -- we want to make sure we give that a  
14 number.

15 MR. WASYLYK: Yes.

16 MR. MURRAY: That will be undertaking JT2.18.

17 **UNDERTAKING JT2.18: TO COMPLETE THE OEB'S BCA**  
18 **CALCULATOR, NAMED THE DRAFT PHASE 1 BCA REPORTING**  
19 **TEMPLATE, WITH THE INPUTS INCLUDED IN THE SL'S BCA**  
20 **CALCULATOR**

21 MR. WASYLYK: Thank you. Finally, in this area, a  
22 question around the inclusion of the CCA class 47 tax rate  
23 in the BCA calculator? Should I maybe reserve those for  
24 panel 3?

25 MS. MARZOUGHI: Yes, please.

26 MR. WASYLYK: Okay. That is where I thought the line  
27 was going to be drawn, so I am glad that I hit it on the  
28 mark and we were able to cross a couple of those out.

1 Thank you, very much.

2 MS. MARZOUGH: Thank you.

3 MR. WASYLYK: Now I'm going to move to some questions  
4 that pick up on of your responses, primarily to 2B-  
5 Pollution Probe-34. And this is in discussion around your  
6 electric vehicle forecasts, and how they have incorporated  
7 it as part of system peak demand.

8 And you provided some responses to how future EV  
9 adoption has been considered as part of system peak demand,  
10 and there's a few references, and I will go to those  
11 specifically if need be, as well as your evidence at 2B  
12 section 4.14.4, where you included an EV volume peak demand  
13 graph.

14 Just a couple of follow-ups there: So in response to  
15 Pollution Probe 34, and thank you for pulling it up on the  
16 screen, Toronto Hydro noted that it considered the impact  
17 of managed versus unmanaged charging, as well as the impact  
18 of off-peak ultra-low EV charging rates in its forecast.

19 And a couple of clarifications: So the City of  
20 Toronto's Transform TO has set a goal of 30 percent of  
21 registered vehicles in Toronto being electric by 2030. Can  
22 you confirm that this was the assumption used for  
23 forecasting the impact of EVs in the system peak demand  
24 forecast and, if not, please discuss why?

25 MR. HUNTLEY: It was. I confirm that.

26 MR. WASYLYK: Perfect. Thank you, very much.

27 Can you please discuss how the 2022 EV volumes in --  
28 and apologies to whoever is pulling up evidence on the

1 screen -- to Figure 1 of exhibit 2B, section D4, 114? I'll  
2 just give it a second, there.

3 That's the peak demand forecast of EV volumes from  
4 2022 to 2031. Perfect, thank you, very much.

5 So can you discuss how the 2022 EV volumes in this  
6 figure were determined?

7 MR. HUNTLEY: The volumes depicted in figure 1 were  
8 determined from MTO actuals.

9 MR. WASYLYK: Okay. Were there any other data inputs  
10 that were used?

11 MR. HUNTLEY: No. The MTO actuals provided the basis  
12 for that input.

13 MR. WASYLYK: Okay. Perfect. Thank you for that.

14 And then, similarly, can you confirm or discuss the  
15 data source -- actually, sorry. Can you confirm and  
16 discuss how the EV volumes for the future years -- well,  
17 you can please speak to 2023 but, from 2023 to 2031 -- were  
18 developed and forecasted?

19 MR. HUNTLEY: The build-out for the model with respect  
20 to EVs essentially used inputs from the City of Toronto  
21 electric vehicle strategy, along with assumptions around EV  
22 sales within the city of Toronto being a percentage of the  
23 overall EV sales for the province.

24 We used projections as well from StatsCan that  
25 provided inputs into future EV projections, along with the  
26 federal mandate for EV sales with respect to a hundred  
27 percent of EV vehicles being zero emissions by 2035.

28 So those were some of inputs that were used to build

1 out the model to achieve the City of Toronto's EV  
2 projections for this time period.

3 MR. WASYLYK: If possible, would you be able to take  
4 as an undertaking to provide reference to those data input  
5 sources that you used for the forecast EV uptake?

6 MR. HUNTLEY: Yes. Sure we can.

7 MR. MURRAY: That will be Undertaking JT2.19.

8 **UNDERTAKING JT2.19: TO PROVIDE REFERENCE TO THE DATA**  
9 **INPUT SOURCES USED TO FORECAST EV UPDATE**

10 MR. WASYLYK: Thank you, very much. And then, sorry,  
11 just a couple more here.

12 Can you please confirm or discuss the data sources for  
13 typical EV charging profiles, and how this was used as part  
14 of the system peak demand forecast?

15 MR. HUNTLEY: With respect to the charging profiles of  
16 the various vehicle populations, primarily the light-duty  
17 vehicles, reference were used from U.S. DRIVE reports from  
18 California. We can provide references for those, should  
19 they be required, along with Canadian insurance data with  
20 respect to driving habits locally, because that generally  
21 maps into the state of charge of vehicles and subsequent  
22 charging times. And that is how we build out the charging  
23 profile for electric vehicles.

24 MR. WASYLYK: Okay. Similarly, if you would be able  
25 to undertake to provide those references if readily  
26 available, that would be helpful.

27 MR. HUNTLEY: Yes, we can.

28 MR. MURRAY: That will be undertaking JT2.20.

1           **UNDERTAKING JT2.20: TO PROVIDE REFERENCES USED FOR**  
2           **VEHICLE CHARGING PROFILES, AND INSURANCE DATA**  
3           **REGARDING EV DRIVING HABITS LOCALLY.**

4           MR. WASYLYK: Thank you, for that. Just a couple more  
5 here.

6           In building off the conversation you were having with  
7 Mr. Ladanyi just a few moments ago in response to 2B-EP-29,  
8 you discussed areas of the city that are likely to  
9 experience increases in fleet or commercial EV charging  
10 versus residential EV charging. And you had discussed with  
11 him that you haven't -- and maybe can first confirm my  
12 characterization of your conversation is correct and I  
13 understood what you have done, properly, that you haven't  
14 forecasted EV charging uptake at a granular level, but  
15 rather, your forecast assumed variability across the  
16 service territory. Is that correct?

17          MR. HUNTLEY: Yes, that's correct.

18          MR. WASYLYK: So then, can you please discuss how, if  
19 at all, geographical distribution of EV charging need was  
20 determined for EV load forecasts?

21          MR. HUNTLEY: In building out the model, there were  
22 two scenarios that were examined, basically an urban shift,  
23 meaning that the uptake of vehicles will correlate with the  
24 driving distance of particular consumers, so, the longer  
25 the driving distance, the likely better pay-off for the  
26 electric vehicle. So there was an urban/suburban shift in  
27 one scenario versus another scenario that assumed higher EV  
28 demand in the core of the city.

1 MR. WASYLYK: Okay. And then how were those scenarios  
2 considered as you're developing your peak demand forecast?

3 MR. HUNTLEY: Those scenarios were part of an  
4 assessment through Monte Carlo simulation, to determine the  
5 median active output that those scenario ranges could  
6 yield, and we used the median output as part of our  
7 forecast.

8 MR. WASYLYK: Okay. Thank you for that. And then,  
9 so, in response to EP-29C, you noted that EV charging needs  
10 are integrated within Toronto's peak demand forecast, which  
11 you just discussed there, which is a primary basis for  
12 investment plans outlined in the station's expansion and  
13 load demand programs.

14 So I'm hoping you can discuss if and how Toronto Hydro  
15 has determined how much EV load to add to each transformer  
16 station bus or if this is a consideration.

17 MR. HUNTLEY: Based on the inputs into the model, we  
18 used allocation to each bus based on historical trending of  
19 particular load profiles.

20 With respect to EVs in particular, we did not forecast  
21 them at a granular level. They were -- the allocations  
22 were made consistent with the outputs of the Monte Carlo  
23 simulation that basically assessed the probability on each  
24 bus for a particular EV uptake.

25 MR. WASYLYK: Okay, so would it be a fair  
26 characterization that there is the likelihood of some  
27 variability in, ultimately, the amount of load that is  
28 going to be taking place and the ability for the different

1 station buses to be able to handle the EV charging load in  
2 various parts of the city?

3 MR. HUNTLEY: Yes, that would be a correct  
4 characterization.

5 MR. WASYLYK: Okay. The last one on this area, and  
6 this is more just a simple confirmation: Can you please  
7 confirm that you've accounted for both residential and  
8 commercial EV charging in the system peak demand forecast?

9 MR. HUNTLEY: Yes, we have.

10 MR. WASYLYK: Perfect. Great, thanks. Those are the  
11 questions in that area. Just one second. I've just got  
12 one final area. Thanks for your patience.

13 These last few questions are follow-ups to 2B-ED-7,  
14 and this is with respect to questions and answers related  
15 to building electrification. And you had a discussion with  
16 Mr. Elson this morning on this topic area. I just had a  
17 couple of follow-up questions.

18 So, in response to questions from Environmental  
19 Defence, you noted that Toronto Hydro determined that  
20 building electrification -- you know, that's space and  
21 water heating -- is not yet a significant driver of growth  
22 over the upcoming rate term, '25 to '29 period. You also  
23 stated that Toronto Hydro does not track customer heat  
24 source by type, for example gas- heated versus electrically  
25 heated homes. So a couple of follow-ups here.

26 And, in addition, you had a conversation with Mr.  
27 Ladanyi, as well, about home heating electrification and  
28 the proliferation of heat pumps and the speed of adoption.

1 And you said that you're monitoring this. So thanks for  
2 that clarification.

3 Can you discuss what type of coordination and  
4 discussions Toronto Hydro has had, if any, with Enbridge  
5 Gas, to better understand the current and future building  
6 stock and to discuss changes in trends in relation to  
7 building electrification and home heating and building  
8 heating?

9 MR. HUNTLEY: Toronto Hydro has engaged with the IESO  
10 as part of regional plannings, and, as part of the current  
11 cycle, there have been engagements with Enbridge Gas to  
12 discuss forecast inputs and potential scenarios.

13 MR. WASYLYK: Okay, so is that that -- are you -- has  
14 Toronto Hydro engaged in any direct discussions with  
15 Enbridge Gas on this topic?

16 MR. HUNTLEY: Not to my knowledge.

17 MR. WASYLYK: Okay. Thank you very much. Okay. And  
18 has Toronto Hydro followed the recent Canada Greener Homes  
19 or the Ontario version, the Home Efficiency Rebate Plus  
20 program, and the success of that program on home heating  
21 and the adoption of heat pumps?

22 MR. HUNTLEY: One moment. Thank you. As far as  
23 capital planning is concerned, we have not considered that  
24 particular input.

25 MR. WASYLYK: Okay. That's fair, and these are recent  
26 developments, so I appreciate that response.

27 Finally, you talked with Mr. Elson this morning  
28 regarding behind-the-meter information, customer surveys



1 and the like. Can you please discuss or maybe confirm your  
2 earlier conversation and provide any -- well, maybe first,  
3 please discuss any data that Toronto has developed or has  
4 used in reference to inform its understanding of consumer  
5 behaviour with respect to building electrification in homes  
6 and commercial buildings.

7 MR. HUNTLEY: Thank you. With respect to the  
8 intelligence that might have been gathered from customer  
9 engagements, that may be an appropriate question for panel  
10 number 2.

11 MR. KEIZER: Actually, if it's customer engagement,  
12 it's panel 3.

13 MR. HUNTLEY: Oh, panel 3, sorry.

14 MR. KEIZER: Oh, sorry. It depends what kind of  
15 customer engagement. Sorry, I'm incorrect.

16 MR. WASYLYK: Okay, so it could be maybe you can speak  
17 to it now, and you can tell me which panel better might be  
18 better served to respond to it. Examples would be customer  
19 end-use surveys that you might have.

20 MR. KEIZER: If it's ordinary course customer care, it  
21 would be panel 2.

22 MR. WASYLYK: I don't think it's going to be because I  
23 would be surprised if the customer care team would have  
24 that sort of -- that would be more technical data. It  
25 would be essentially assessing kind of building stock and  
26 talking to building owners and different people like that  
27 on square footage of the buildings and kind of what heating  
28 systems are in place and those sorts of technical aspects

1 of buildings. If the customer care group does have that  
2 information, I'm glad to try them.

3 MR. KEIZER: You know, just to be clear, to make sure,  
4 we can take an undertaking to clarify.

5 MR. WASYLYK: Yes. No, that's fine.

6 MR. MURRAY: So that will be undertaking JT2.21.

7 **UNDERTAKING JT2.21: TO REVIEW AND PROVIDE ANY**  
8 **CUSTOMER END USE SURVEYS OR ANY ANALYSIS OF DATA OR**  
9 **TRENDS RELATED TO ENERGY EFFICIENCY RETROFIT PROJECTS**  
10 **OR PUBLICLY AVAILABLE ENERGY CONSUMPTION DATA THAT**  
11 **HAVE BEEN USED TO INFORM ITS UNDERSTANDING OF CONSUMER**  
12 **BEHAVIOUR WITH RESPECT TO BUILDING ELECTRIFICATION, ON**  
13 **A BEST-EFFORTS BASIS**

14 MR. WASYLYK: And maybe -- okay. I think maybe, then,  
15 just to maybe clarify the undertaking so that it's clear  
16 and you can respond to it in a more comprehensive manner,  
17 maybe the undertaking to be for Toronto Hydro to review and  
18 provide any customer end use surveys or any analysis of  
19 data or trends related to energy efficiency retrofit  
20 projects or publicly available energy consumption data that  
21 have been used to inform its understanding of consumer  
22 behaviour with respect to building electrification. Is  
23 that fair?

24 MR. KEIZER: I'll do it on a best efforts base.

25 MR. WASYLYK: Of course. Okay. Thank you very much,  
26 panel. Those were all my questions. I appreciate the  
27 responses.

28 **EXAMINATION BY MS. DEFAZIO:**

1 MS. DEFAZIO: Hello, Panel, I'm Margaret DeFazio, a  
2 senior advisor at the OEB. I would like you to first pull  
3 up the electric vehicle charging connection procedures  
4 issued by the OEB on February 16th of this year. This  
5 contains a consolidation of procedures, timelines,  
6 workflows and template forms issued by the OEB intended to  
7 streamline processes for connecting public charging  
8 facilities that commonly service multiple electric  
9 vehicles. Are there any impacts that Toronto Hydro has  
10 assessed for a year to be greater than a million dollars,  
11 either in capital or operating due to this?

12 MS. NARISSETTY: Can you please clarify the question,  
13 again, Ms. Margaret?

14 MS. DEFAZIO: In reviewing this document, has there  
15 been any changes to your capital or OM&A budgets that are  
16 a million dollars or more for the forecast period?

17 MS. NARISSETTY: Yes. Subject to check, I don't think  
18 so.

19 MS. DEFAZIO: Thank you. Could you please quickly  
20 list investments -- sorry, briefly list any investments  
21 being made to reduce foreign interference caused outages?  
22 My apologies, this is in reference to 1B-Staff-09.

23 MR. KEIZER: Is there a part of one?

24 MS. DEFAZIO: Sorry, I did not note a part. There  
25 might be an outage breakdown further down. Outage cause  
26 codes. I don't believe there was much in the IR, I'm just  
27 looking for what investments you make that would reduce  
28 foreign interference caused outages.

1 MR. HIGGINS: So, with respect to foreign interference  
2 outages, that would include various external factors like  
3 animal contacts, and I believe -- sorry, just one moment.  
4 Yes, okay. Sorry, I lost my reference, yes, animal  
5 contacts, vehicles, foreign objects, things like that. So,  
6 previously we mentioned, for example, with animal contacts,  
7 as we go and we rebuild overhead equipment, we would be  
8 installing animal guards but also, as part of worst  
9 performing feeder program, we would be doing that more  
10 reactively in response to situations that we're seeing.

11 With respect to vehicles, there's not always a lot we  
12 can do. But if there's a particularly high risk area we  
13 can install bollards, which we occasionally do, and then  
14 there's probably a number of kind of smaller factors that  
15 would come into play that can't necessarily be managed.  
16 But that would be a couple of examples, yes.

17 MS. DEFAZIO: Thank you. This question would be in  
18 way of an undertaking, if you could -- oh, what's going on  
19 with the screen here. There we go. Okay. Could you  
20 provide a comparison of the average expenditure required to  
21 reduce marginal outages due to defective equipment versus  
22 tree contact, versus foreign interference?

23 MR. HIGGINS: No, I don't think that would be  
24 possible.

25 MS. DEFAZIO: Okay. If we could go to IR 1B-Staff-91.  
26 If you scroll down there's a figure. So, this was, our  
27 apologies, this figure was produced using a ten year  
28 rolling average. Could you reproduce it using a five year

1 rolling average, as well as the underlying table over the  
2 same timeframe?

3 MR. HIGGINS: So, we may need a bit of a  
4 clarification. Because, I guess, when we responded this,  
5 the way we understood the question was that you were  
6 looking for us to replicate, essentially, the analogous  
7 methodology that we used to come up with the five year  
8 targets, but using a ten year window instead.

9 And we felt that the appropriate way to do that would  
10 be to use ten years across the board, a rolling ten year  
11 average. And, yes, using a rolling ten year average, and  
12 then calculating the standard deviation for the target on  
13 that same basis.

14 If we move to five years, we may start to mix apples  
15 and oranges, but if there's a specific request, like, that  
16 we -- a specific methodology that the OEB would like to see  
17 played out, we could consider that.

18 MS. DEFAZIO: Well, I think it's --

19 MR. HIGGINS: Or Staff, sorry, not the OEB.

20 MS. DEFAZIO: That's okay. As you noted, we typically  
21 use a five year, not a ten year, and I think we worded the  
22 question incorrectly, which resulted you doing the ten  
23 year, so my apologies for the extra work.

24 MR. HIGGINS: Well, the target is already set in our  
25 pre-filed evidence on a five year basis.

26 MS. DEFAZIO: Could we just see the graph over the  
27 same time period with the five year? Going back to say,  
28 2013, so we can see the trend over time? Not necessarily

1 redoing the target, but what was the...

2 MR. HIGGINS: Going back to 2013?

3 MS. DEFAZIO: Yes.

4 MR. HIGGINS: We could produce that, yes.

5 MS. DEFAZIO: Thank you.

6 MR. MURRAY: That will be undertaking JT2.22.

7 **UNDERTAKING JT2.22: TO UPDATE THE GRAPH IN 1B-STAFF-**  
8 **91 TO INCLUDE THE FIVE-YEAR ROLLING AVERAGE BACK TO**  
9 **2013.**

10 MS. DEFAZIO: So, if we could please go to exhibit 2B  
11 section D3, Appendix A, page 5, which has table 4. There  
12 we go.

13 Yesterday we had some -- or you had some discussions  
14 about reliability modelling and discussions around using  
15 asset age as an input versus asset condition, which when we  
16 look at the ACA, you have a large number of assets on the  
17 ACA. Could you just list and briefly describe why there  
18 are some assets that are not on this list or that you don't  
19 collect condition for?

20 MR. HIGGINS: Just one moment. So, if I could take  
21 you to 2B-SEC-36. So, what you have here is, in table 1,  
22 is a list of major system asset categories with yes, no, or  
23 partial for whether or not any same model exists.

24 There's an example here, I guess, because the question  
25 was asking for -- sorry, just a moment. Right, the  
26 question was asking for the percentage breakdown between  
27 the two. So, 37 percent of the money that we spend is on  
28 assets that do have a condition model. Out of the

1 remaining assets, there are the three biggest contributors  
2 to total spending as it says here in the response on line  
3 5, would be underground primary cable, underground duct  
4 banks, and meters. And so, for example, cables and ducts  
5 would be an example of an asset class that is not conducive  
6 at this time to developing a condition model. And there's  
7 a number, I believe in another interrogatory, we discussed  
8 overhead transformers, and the reasons there's not  
9 currently an economical way to collect condition  
10 information on those assets. So the response would vary  
11 depending on asset class, but that should give you a sense,  
12 I think.

13 MS. DEFAZIO: Perfect. Thank you for pointing that  
14 out.

15 If we could go to 1B-Staff-90, please? If you scroll  
16 down -- I didn't note the A, B or C. But in this, Toronto  
17 Hydro states:

18 "Toronto Hydro plans to improve SAIDI will have  
19 benefits for outage duration during adverse  
20 extreme weather events, whether those events meet  
21 the statistical classification threshold for  
22 major event days or not."

23 There you go, at the beginning of B. Have you defined  
24 what constitutes outages due to adverse and extreme weather  
25 to versus just normal weather?

26 MR. HIGGINS: I don't have the precise definition for  
27 adverse weather on hand, but it is a defined cause code.  
28 And so we would follow that definition when labelling

1 outages. And then extreme weather is a little more to do,  
2 just with the severity. Is it a major outlier weather day,  
3 as opposed to adverse weather, which is more of a formal  
4 reliability definition.

5 MS. DEFAZIO: Okay. Thank you. And would you say you  
6 have experienced or Toronto Hydro has experienced adverse  
7 and extreme weather events that did not meet the OEB or  
8 IEEE major event-day criteria. And could you describe, if  
9 you have?

10 MR. HIGGINS: Yes, quite often. It's one of our  
11 material cause codes for reliability, so it could be any  
12 variety of weather conditions that would trigger an outage.

13 MS. DEFAZIO: So we were talking about adverse and  
14 extreme weather. I understand the adverse weather cause  
15 codes when comes to extreme weather. Would you categorize  
16 that separate, outside of adverse weather? Or kind of in  
17 the same category?

18 MR. HIGGINS: Maybe just in the interests of being  
19 helpful here, 1B-EP-4, if we can go there? I guess we did  
20 get a question on this; I forgot about the definitions.

21 And as we note here on line 20, we define extreme and  
22 adverse weather as rain, ice storms, snow, winds, extreme  
23 temperatures freezing rain, frost, et cetera, that are  
24 likely to affect grid operations.

25 The extreme weather one is really more of a matter of  
26 degree; is it a particularly extreme event, essentially.

27 Could you just repeat your question?

28 MS. DEFAZIO: Okay. So, because customers have said



1 that they are interested in reducing adverse and extreme  
2 weather, I am wondering if you have drawn a line or a  
3 criterion to say what's normal weather, your typical summer  
4 storm or an extreme weather storm?

5 MR. HIGGINS: We haven't drawn a line per se. We  
6 would expect -- generally, the expectation around the  
7 effects of climate change is that we would see both more  
8 frequent and more severe events. Now the extent to which  
9 that actually happens will be -- remains to be seen. But  
10 that's generally what we are referring to, is some increase  
11 in both the frequency and severity of different kinds of  
12 events.

13 MS. DEFAZIO: Okay. Thank you. If we go to exhibit  
14 2BC, page 8, there's a listing of the historic major event  
15 days. Would Toronto Hydro agree that most of its major  
16 event days are characterized by extreme weather events?

17 MR. HIGGINS: Historically, yes.

18 MS. DEFAZIO: Thank you. Toronto Hydro says it has  
19 challenged itself to set modest improvement target for  
20 SAIDI, which involves some significant incremental  
21 spending. Did Toronto Hydro consider holding SAIDI  
22 constant, and challenging itself to keep costs as low as  
23 possible?

24 MR. HIGGINS: So maybe if we can zoom out for a  
25 second? The plan in the Distribution System Plan that is  
26 before the board is based on a number of different factors,  
27 including the results of customer engagement. When it  
28 comes to reliability and price, those two factors continue

1 to be items No. 1 and 2 essentially, for customers. And  
2 customers do prioritize managing outage duration over  
3 frequency.

4 Our overall objective, recognizing that the top  
5 priority for customers continues to be affordability, was  
6 to try to achieve the balance of objectives, which is  
7 maintaining reliability at the most affordable, you know,  
8 cost that we could, taking into consideration various other  
9 factors, including longer term investment needs, general  
10 system stewardship need, growth needs, et cetera, so  
11 balancing all these different factors.

12 With respect to the objectives that we set on SAIDI  
13 and SAIFI, we have a near-term objective, which I think we  
14 have been -- we have tried to be clear about in the  
15 evidence, which is we are looking to do no more than is  
16 necessary to maintain reliability. And the primary way  
17 that we are expressing that objective, when it comes to our  
18 system renewal program is through the SAIFI performance  
19 incentive measure, the SAIFI defective equipment  
20 performance incentive measure.

21 On the SAIDI side, the objective with respect to  
22 system renewal is fundamentally the same; it is to maintain  
23 reliability. However, we are also making investments in  
24 this rate period that are part of our longer term grid  
25 modernization road map which are intended to position our  
26 grid and our operational capabilities to handle the  
27 pressures that are coming, that we believe are coming from  
28 higher utilization, greater sensitivity to outages on

1 behalf of customers, which we are anticipating as a result  
2 of electrification, pressures of climate change, pressures  
3 from expanding use of DERs on our grid.

4 And it so happens that making those investments now we  
5 recognize will have some incremental benefit on SAIDI. We  
6 don't expect it to be significant in this rate period, but  
7 because we are making these incremental investments and we  
8 are asking for funding for those investments, we did want  
9 to set an objective that recognized that those benefits may  
10 be achievable using these new technologies, which is why we  
11 went with an improvement objective on SAIDI.

12 MS. DEFAZIO: Okay. Thank you. This next question, I  
13 debated if it was panel 1 or panel 1, so I will get  
14 started. And if you would like me to move it to panel 2,  
15 please let me know.

16 If we could go to 2A-Staff-114? And I am pretty sure  
17 you can handle the first question: Can you very briefly  
18 describe to me what an MCS is? That's the monitoring and  
19 control system for DER facilities.

20 MR. HUNTLEY: Just so I understand the question, you  
21 would like a description of what that is?

22 MS. DEFAZIO: Yeah.

23 MR. HUNTLEY: Okay. The monitoring and control system  
24 is essentially the interface between the customer's DER  
25 equipment and a Toronto Hydro SCADA system.

26 MS. DEFAZIO: Okay. Does Toronto Hydro install these  
27 systems at all DER sites?

28 MR. HUNTLEY: We require them at all DER sites, yes.

1 MS. DEFAZIO: Is it correct to say that an MCS is  
2 installed for new DERs, regardless of the source of energy,  
3 that is, whether it is a renewable or a non-renewable site?

4 MR. HUNTLEY: I would just like to offer one  
5 clarification to your prior question. It is for DER sites  
6 above 50 kilowatts.

7 MS. DEFAZIO: Thank you. Regardless of energy source?

8 MR. HUNTLEY: Correct, yes.

9 MS. DEFAZIO: Okay. And, if there's a customer site  
10 that does not have a DER, is it correct to say there would  
11 be no need to install an MCS?

12 MR. HUNTLEY: The purpose of the MCS program is  
13 directed towards DER sites.

14 MS. DEFAZIO: Thank you. So, I was looking to confirm  
15 the spending on the RGCRP eligible items for the 2020 to  
16 2022 as this is the time frame being requested for  
17 clearance, and the renewable-enabling investment variance  
18 account. So I would like to confirm that the expenditures  
19 under the GPMC program that are part of the RGCRP -- I'm  
20 sorry for all the acronyms -- those investments were to  
21 connect renewable generation only.

22 MR. MUNDENCHIRA: Yes, that's correct.

23 MS. DEFAZIO: Thank you. Now, in the answer to 2A-  
24 Staff-114, the response referred to 2A-Staff-108 and  
25 described the MCS as renewable-enabling generation --  
26 sorry, that it enabled future generation. But I think in  
27 fact you could provide me a list of the number of  
28 connection points and sites that were connected during the

1 2020 to 2022 time frame. There's a preliminary list shown  
2 in 2B-E5.5. Oh, I didn't note the page. If you scroll  
3 down --

4 Anyways, what I'm looking for is: Could you please  
5 confirm the actual numbers of MCS and antenna installation  
6 programs and DER -- sorry, MCS buy-back programs that are  
7 included this the RGCRP funding requested for clearance  
8 from 2020 through 2022.

9 MR. HUNTLEY: The list of sites?

10 MS. DEFAZIO: Yes -- sorry, the numbers. I don't want  
11 a list of addresses. Just, you know, in the application  
12 you have a list of a buyback program, antenna installation  
13 program, and new DER metres and RTUs. We're looking for  
14 the actual work that was completed for the RGCRP funding  
15 that is in the DVA.

16 MR. HUNTLEY: Yes, we can take that by way of  
17 undertaking.

18 MS. DEFAZIO: Perfect. Thank you.

19 MR. MURRAY: That will be undertaking JT2.23.

20 **UNDERTAKING JT2.23: TO CONFIRM THE ACTUAL NUMBERS OF**  
21 **MCS AND ANTENNA INSTALLATION PROGRAMS AND MCS BUYBACK**  
22 **PROGRAMS THAT ARE INCLUDED THIS THE RGCRP FUNDING**  
23 **REQUESTED FOR CLEARANCE FROM 2020 THROUGH 2022.**

24 MS. DEFAZIO: If you could, please move the screen to  
25 2-Staff-109. As part of 2-Staff-109, Toronto Hydro filed  
26 an Excel spreadsheet, Appendix B, which is the OEB appendix  
27 2-FB, which is the calculations for renewable-enabling  
28 generation connections direct benefits/provincial account.

1 And the calculations in this spreadsheet include assets  
2 that have an average lifespan of 27.5 years' depreciation,  
3 and that was stated that that is a blended -- a number of  
4 assets blended together on a weighted average have a 27.5-  
5 year depreciation.

6 If you scroll down a little bit further down the page,  
7 you may see it. Try the ISA page, the tab to the left.

8 No.

9 MR. MUNDENCHIRA: If I could be of help, it would be  
10 the tab called "REG A," three to the right, three tabs to  
11 the right, further down.

12 MS. DEFAZIO: There you go. Oh, just up a bit: 27.5  
13 years. That's the amortization period average for those  
14 assets. Could we get a breakdown of how that calculation  
15 was arrived at for the 27.5-year depreciation period,  
16 please?

17 MR. MUNDENCHIRA: Yes, we can. It was a simple  
18 average of the highest and lowest potential assets, but we  
19 can provide those.

20 MS. DEFAZIO: Thank you.

21 MR. MURRAY: That will be undertaking JT2.24.

22 **UNDERTAKING JT2.24: TO PROVIDE A BREAKDOWN OF THE**  
23 **CALCULATION OF THE 27.5-YEAR DEPRECIATION PERIOD SHOWN**  
24 **IN 2-STAFF-109, APPENDIX B; TO REDO THE CALCULATION**  
25 **USING THE UPDATED DEPRECIATION RATES FROM THE**  
26 **CONCENTRIC STUDY PROPOSED IN THIS APPLICATION.**

27 MS. DEFAZIO: And also as part of that undertaking,  
28 could you redo that calculation using the updated

1 depreciation rates from the Concentric study that is being  
2 proposed in this application?

3 MR. MUNDENCHIRA: Yes.

4 MS. DEFAZIO: And, as well, one more item, resubmit  
5 the calculations using the new depreciation rates as they  
6 apply in the -- I guess it was '23 to '29 years?

7 MR. MUNDENCHIRA: Yes.

8 MS. DEFAZIO: Thank you. Okay. We've talked a lot  
9 today about useful life, and I would just like to clarify a  
10 couple of items around useful life and depreciation life.  
11 If you would like, you could pull up 2B-Staff-29. Okay.  
12 So here we talk and in all the Concentric reports, we talk  
13 about useful life and depreciation life. Is it fair to say  
14 those are the same things or have the same duration in your  
15 application?

16 MR. HIGGINS: Yes, with the exception, I think, of one  
17 asset class.

18 MS. DEFAZIO: Okay. Thank you. So the APUL, assets  
19 past useful life, we could also make it longer and say  
20 "assets past depreciation life." It would be almost --  
21 except for that one asset class, it would be  
22 interchangeable?

23 MR. HIGGINS: So mathematically, yes --

24 MS. DEFAZIO: Okay.

25 MR. HIGGINS: -- it would be the same. I don't  
26 necessarily -- maybe just to check what I said on the first  
27 response, I don't know that we would look at those two  
28 categories, the useful life and the depreciation life, as

1 being the same thing necessarily, but, in this iteration of  
2 our planning cycle, they have converged, yes.

3 MS. DEFAZIO: Yes, okay. So can you confirm that  
4 depreciation studies and the Concentric depreciation study  
5 accounts for all causes of asset retirement?

6 MR. HIGGINS: I would just refer you to Concentric's  
7 response to this question in part B of 2B-Staff-129, on  
8 page 2, where they say that the depreciable life of assets  
9 is based upon et cetera, et cetera, historical --

10 MS. DEFAZIO: Okay.

11 MR. HIGGINS: -- retirements, and they list a number  
12 of factors that are included.

13 MS. DEFAZIO: Can you just describe some of the ways  
14 assets are retired that are beyond Toronto Hydro's control,  
15 just as examples?

16 MR. HIGGINS: I guess it depends on what exactly you  
17 mean by beyond our control. But I would say that, you  
18 know, failures themselves reactive replacements are, to  
19 some extent, beyond our control and random, and there are  
20 assets that fail at a young age, and then there's  
21 compliance driven reasons, for example, such as PCB related  
22 replacements would be a couple of examples.

23 MS. DEFAZIO: Would road widenings or roadwork  
24 relocations be an example?

25 MR. HIGGINS: Yes.

26 MS. DEFAZIO: Okay. Automobile collisions, would they  
27 be another example?

28 MR. HIGGINS: Yes.



1 MS. DEFAZIO: Thank you. So, in 2B-Staff-129, you use  
2 a term called average service life. And average service  
3 life you say is calculated on the basis of what Toronto  
4 Hydro would call failure curves, i.e. probability of  
5 failure curves on the basis of a utility's failure data as  
6 opposed to retirement data. Yes, there you go, lines 23 to  
7 25.

8 So I'm just trying to clarify the wording we're using,  
9 so useful life and depreciation life are kind of the same  
10 thing, and average service lives are those lives what you  
11 would expect if you only replaced due to failure curve.

12 MR. HIGGINS: I'm sorry, where are you seeing average  
13 service life? I'm just missing something on the screen.  
14 Okay, let me pull that up.

15 MR. HIGGINS: Which part of the question are we  
16 looking at?

17 MS. DEFAZIO: Sorry, you're right, it's not right  
18 there. Let me find it. My apologies, it's Staff-123 in  
19 response A.

20 MR. HIGGINS: I apologize, can you repeat the  
21 question?

22 MS. DEFAZIO: Sorry, and that would go down to, sorry,  
23 page 2, line 16. 15, 16. So, I'm just trying to clarify  
24 some of the terminology that assets past useful life are  
25 average useful life and depreciation life have been  
26 calculated the same, and average service life is the life  
27 based solely on a failure curve, without external forces.

28 MR. HIGGINS: So, I don't see the specific language.

1 I don't know if we're looking at the same interrogatory. I  
2 can discuss the concepts if you like.

3 MS. DEFAZIO: Someone whispered in my ear I've got it  
4 wrong again, 131, page 2, line 16. There you go. Sorry,  
5 about that.

6 MR. HIGGINS: Okay, that's helpful, yes. I remember  
7 this now. So, maybe I can just -- because this is a bit of  
8 a tricky topic. So, what we've said here is we are  
9 assuming, in our response, that OEB Staff is referring to  
10 the difference between average service life determined on  
11 the broader set of retirement causes we just discussed for  
12 depreciation purposes, versus something that would be more  
13 focused upon failures, and I just kind of assumed here it  
14 would be, you know, exclusively failures. So, one of the  
15 things that we can develop to inform the selection of  
16 useful life values or, more importantly, to come up with  
17 probability of failures calculations would be failure  
18 curves. Now, that's kind of a spectrum. There's also, you  
19 know, useful lives I think can be defined a number of  
20 different ways and mean service life can be defined in a  
21 number of ways.

22 For most of our recent history since we did the  
23 Kinectrics report in 2009, I believe it was, that was  
24 defined as simply the mean average between what Kinectrics  
25 came up with as the minimum and maximum useful life, and we  
26 used that going forward as a reference point for our APUL  
27 calculations and certain other analytics where that data  
28 point was useful.

1 I think what you've seen, and maybe just to clarify,  
2 because I am getting the impression that others have the  
3 impression that the useful lives and the depreciation lives  
4 are one and the same, and while mathematically that is the  
5 case as of right now, the timeline I think matters there.  
6 The bigger changes resulting from the Concentric study are  
7 actually to the lengthening of depreciation lives, and it's  
8 the depreciation lives that have come more so into  
9 alignment with of the engineering useful lives as a result  
10 of the depreciation study.

11 We did look at it from the other direction, which is  
12 based on this latest information coming from the  
13 depreciation study. Do we feel comfortable or do we think  
14 it's appropriate making some adjustments to the engineering  
15 useful lives? And there was a handful of cases where we  
16 did decide to make those adjustments, most of them were  
17 very minor, to bring into alignment, a couple were more  
18 significant, which we can discuss, but that was kind of the  
19 order of operations.

20 All of which to say our engineering useful lives are  
21 still predominantly grounded in the original Kinectrics  
22 study.

23 MS. DEFAZIO: So, yes, no. Not issues with what  
24 you've described, I just want to clarify that throughout  
25 the application when you talk about useful life, it has the  
26 same duration as your depreciation life, and you've  
27 confirmed that through providing us this table in 2B-Staff-  
28 129.

1 MR. HIGGINS: That is correct. And the exception  
2 there would be a specific type of cable that's noted in the  
3 table.

4 MS. DEFAZIO: Perfect. And then average service life  
5 described here, slightly different name, but that would be  
6 the life based off a failure curve, if there was no outside  
7 forces like wind storms or, you know, car accidents, road  
8 widenings it would that that failure curve?

9 MR. HIGGINS: Yes, perhaps we overinterpreted the  
10 Staff's question here. I guess what we were putting up as  
11 an example would be something that is more purely based on  
12 failures, which that kind of an analysis would result in --  
13 you could extract an average service life value from that  
14 if you want to call it an average service life value, this  
15 is where we get into some semantics. But you could extract  
16 an average life for an asset from that kind of a curve, if  
17 you wanted to, but that kind of analysis would typically be  
18 used for actually doing, you know, predictive failures  
19 analysis and performance analysis and things like that, so.

20 MS. DEFAZIO: Excellent yes. So, in 2B-Staff-129, we  
21 have the depreciation life, and the useful life, which have  
22 the same duration for the assets that were listed in that  
23 table. Would you -- you would not plan to replace your  
24 assets in the engineering world based on your depreciation  
25 life, you would plan based off the failure curves and the  
26 asset condition assessment. Would that be correct?

27 MR. HIGGINS: Among other factors, yes.

28 MS. DEFAZIO: Yes, other things come into play. Could

1 you give us that life as a comparison? Do you have that  
2 life value that you could put in as another column in this  
3 table?

4 MR. HIGGINS: So, we haven't done a study specifically  
5 to look at what a single useful life value might be for the  
6 purposes of failure related analysis.

7 MS. DEFAZIO: Would you expect it to be longer than  
8 the depreciation life?

9 MR. HIGGINS: It likely would in most circumstances,  
10 but the question is just by how much. And this is where  
11 the issue becomes, and this is an issue, I think this is  
12 what we tried to discuss in 131. It's an industry-wide  
13 challenge to develop failure datasets that are long enough  
14 and rigorous enough and accurate enough to actually drive  
15 the kinds of predictive analytics that say a life insurance  
16 company could do, right?

17 It's our physical assets are much more -- the data is  
18 just not as good. We are improving, and we have done some  
19 -- I think we discussed this yesterday, we have done some  
20 work with a consultant to start to explore what might be  
21 possible in the future. But for now, I think we have  
22 discussed in other parts of the evidence, we are relying  
23 upon our asset condition model, reliability and performance  
24 trends, and various other factors to determine the level of  
25 investment.

26 MS. DEFAZIO: Thank you. If we can now go to 2B-  
27 Staff-135. Here, you produced a table showing the number  
28 of MSs to be decommissioned over 2025 to 2029. Will there

1 be any costs in the decommissioning of these MSs in the  
2 forecast period?

3 MR. HUNTLEY: Yes, there will be.

4 MS. DEFAZIO: Where are they included in the DSP? And  
5 can you break the costs out?

6 MR. HUNTLEY: We can take it via undertaking.

7 MS. DEFAZIO: Thank you.

8 MR. MURRAY: That will be Undertaking JT2.25.

9 **UNDERTAKING JT2.25: TO BREAK OUT THE COSTS FOR**  
10 **DECOMMISSIONING OF MSs IN THE FORECAST PERIOD WHERE**  
11 **THEY ARE INCLUDED IN THE DSP (REF: 2B-STAFF-135)**

12 MS. DEFAZIO: Okay. If we could go to 2B-Staff-188?  
13 Toronto Hydro has referenced the Building Transit Faster  
14 Act. What agreement have Toronto Hydro and Metrolinx come  
15 to regarding the apportionment of relocation costs under  
16 the Building Transit Faster Act, Part IV, section 51.

17 MR. KEIZER: I think we'll have to do an undertaking  
18 for that one.

19 MS. DEFAZIO: Okay.

20 MR. MURRAY: That will be Undertaking JT2.26.

21 **UNDERTAKING JT2.26: TO DESCRIBE ANY AGREEMENT BETWEEN**  
22 **TORONTO HYDRO AND METROLINX REGARDING THE**  
23 **APPORTIONMENT OF RELOCATION COSTS UNDER THE BUILDING**  
24 **TRANSIT FASTER ACT, PART IV, SECTION 51 (REF: 2B-**  
25 **STAFF-188) .**

26 MS. DEFAZIO: So, also on 2B-Staff-188, Toronto Hydro  
27 states in the first -- on the screen, and the first line of  
28 its response:

1           "The decrease in capital contributions is  
2           attributed to increased expansion work over the  
3           forecast period to meet anticipated load growth.  
4           In particular, forecast expansion work associated  
5           with relocations under the Building Transit  
6           Faster Act contributes to..."

7           ...and it goes on. But load growth and relocations  
8           are two separate things. Load growth is funded by the DSC,  
9           relocations funded by Building Transit Faster Act, and the  
10          Public Service Works and Highways Act.

11          So these are not the same thing. Can you explain the  
12          -- can you please clarify the reason for the decrease in  
13          contributions?

14          MR. HUNTLEY: Thanks for the question, Ms. Defazio,  
15          but I think panel 2 would be better suited to answer that  
16          particular question.

17          MS. DEFAZIO: Okay, panel 2. There was a letter  
18          issued by the OEB on January 29, 2024, titled, "Proposed  
19          amendments to the distribution system code to enable  
20          flexible hosting capacity arrangements."

21          And these amendments allow distributors to enter into  
22          flexible hosting capacity arrangements with generators.

23          Will Toronto Hydro consider or -- and are you  
24          considering, flexible hosting arrangements with generators  
25          in place of the feeder-level batteries?

26          MR. HIGGINS: In our grid modernization strategy  
27          evidence, we do cover a number of topics that are related  
28          to the grid readiness aspect of our strategy. And grid

1 readiness is essentially the name we have given to the  
2 category that deals with accommodating more DERs,  
3 facilitating them, and integrating them into the system.

4 And as part of the facilitation aspect of that  
5 strategy, we are looking down the road at developing  
6 capabilities that would allow us to overcome some of the  
7 harder limits that we have on our system in terms of  
8 accommodating DERs.

9 One of those things is flexible connections. And if  
10 you can go to section D5, page 44, this is in the  
11 innovation subsection, which is part of the grid readiness  
12 portfolio.

13 I'll just wait for the table to come up. In the first  
14 row, you will see a brief capsule description there of the  
15 flexible connections, pilot work that we are proposing for  
16 our innovation program.

17 So this is -- it is still early stages around some of  
18 these things, so whether or not this serves to become a  
19 replacement for the battery option remains to be seen, upon  
20 what time frame. But we do know other jurisdictions have  
21 explored this kind of thing successfully.

22 However, with flexible connections, it is a very  
23 technical and specific arrangement that is, I think, going  
24 to end up being unique to every service territory and  
25 system. So we do have a bit of a road ahead in terms of  
26 testing and piloting different options, but it is something  
27 that we are looking to develop over the next rate period.

28 MS. DEFAZIO: Perfect. Thank you. If we can go to



1 2B-Staff-162, please, and question C? Question C just  
2 states that the Horseshoe system has a high proportion of  
3 overhead feeders. Can you give an approximate or a  
4 ballpark number on how much of the Horseshoe is overhead,  
5 versus underground? And it can be by, I don't know, by  
6 circuits or circuit-kilometres, or customers, whatever is  
7 kind of easier to apportion it, what's overhead versus  
8 underground.

9 MR. HIGGINS: In the interests of time, because it  
10 will probably be like finding a needle in a haystack, we  
11 can respond to that through an interrogatory, yes -- or  
12 through an undertaking.

13 MS. DEFAZIO: Thank you.

14 MR. MURRAY: That will be undertaking JT2.27.

15 **UNDERTAKING JT2.27: TO PROVIDE AN APPROXIMATE VALUE**  
16 **FOR HOW MUCH OF THE HORSESHOE SYSTEM HAS OVERHEAD**  
17 **FEEDERS, VERSUS UNDERGROUND.**

18 MS. DEFAZIO: Okay. Can you please pull up the 2022  
19 scorecard. That's in exhibit 1B, tab 3, section 2,  
20 appendix A. Okay.

21 So on this scorecard, we can see that it goes from  
22 2018 to 2022. Can you scroll down to the next page,  
23 please? Can you just keep going to the second page of the  
24 scorecard, please? That's not the actual scorecard. Yeah.  
25 Okay.

26 Lawren is asking, do we want to break and pick this up  
27 tomorrow?

28 MR. MURRAY: I think, Ms. Defazio, do you get a sense,

1 will we be done in the 15 minutes? I get the sense,  
2 probably not.

3 MS. DEFAZIO: Probably not.

4 MR. MURRAY: So rather than keeping people here till  
5 5:15, and then having people sprint off to wherever their  
6 competing priorities may be, it might make sense just to  
7 start again at 9:30.

8 MR. KEIZER: Do we know how much longer Staff will be?  
9 Just for us to coordinate.

10 MR. MURRAY: I would say less than an hour? Is that  
11 fair?

12 MS. DEFAZIO: Yeah, less than an hour.

13 MR. KEIZER: Okay. That's fine.

14 MR. MURRAY: So why don't we start again tomorrow at  
15 9:30?

16 MS. DEFAZIO: Thank you.

17 --- Whereupon the conference adjourned at 4:58 p.m.

18

19

20

21

22

23

24

25

26

27

28