



# ONTARIO ENERGY BOARD

**FILE NO.:** EB-2023-0195

**Toronto Hydro-Electric System Limited**

---

**VOLUME:** Evidence Presentation

**DATE:** May 22, 2024

**BEFORE:** Michael Janigan                      Commissioner  
Allison Duff                                      Commissioner  
Anthony Zlahtic                                Commissioner

**THE ONTARIO ENERGY BOARD**

**Toronto Hydro-Electric System Limited**

**Application for energy distribution rates  
beginning January 1, 2025**

Oral Hearing held in person and by videoconference  
from 2300 Yonge Street, 25th Floor, Toronto, Ontario,  
on Wednesday, May 22, 2024, commencing at 9:34 a.m.

-----  
EVIDENCE PRESENTATION  
-----

BEFORE:

MICHAEL JANIGAN	Commissioner
ALLISON DUFF	Commissioner
ANTHONY ZLAHTIC	Commissioner

A P P E A R A N C E S

LAWREN MURRAY	Board Counsel
CHARLOTTE KANYA-FORSTNER	
JAMES GRAVELLE	
THOMAS EMINOWICZ	Board Staff
MARGARET DEFAZIO	
DONALD LAU	
ASHLEY SANASIE	
CHARLES KEIZER	Toronto Hydro-Electric System Limited (THESL)
SHELLEY GRICE	Association of Major Power Consumers in Ontario (AMPCO)
CLEMENT LI	Building Owners and Managers Association (BOMA)
TOM LADANYI	Coalition of Concerned
MICHAEL LADANYI	Manufacturers and Businesses of Canada (CCMBC), Energy Probe Research Foundation
JULIE GIRVAN	Consumers Council of Canada (CCC)
NICK DAUBE	Distributed Resource Coalition (DRC)
KENT ELSON	Environmental Defence (ED)
MICHAEL BROPHY	Pollution Probe
DAN ROSENBLUTH	Power Workers' Union (PWU)
MARK RUBENSTEIN	School Energy Coalition (SEC)
JANE SCOTT	
MARK GARNER	Vulnerable Energy Consumers
BILL HARPER	Coalition (VECC)

I N D E X   O F   P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- On commencing at 9:34 a.m.	1
Procedural Matters	2
Land Acknowledgement	3
Appearances	3
<b>TORONTO HYDRO-ELECTRIC SYSTEM LIMITED - PANEL 1</b>	<b>6</b>
<b>D. Coban, M. Higgins, K. Huntley, D. Smart, E. Page</b>	
Presentation by Ms. Coban	6
Presentation by Mr. Higgins	24
Presentation by Mr. Huntley	37
--- Recess taken at 11:10 a.m.	57
--- On resuming at 11:33 a.m.	57
Presentation by Mr. Smart	58
Presentation by Ms. Coban (cont'd.)	79
--- Whereupon the presentation concluded at 12:49 p.m.	103

E X H I B I T S

<u>Description</u>	<u>Page No.</u>
EXHIBIT KP1.1: TORONTO HYDRO-ELECTRIC SYSTEM LIMITED PRESENTATION	5
EXHIBIT KP1.2: TORONTO HYDRO-ELECTRIC SYSTEM LIMITED PRESENTATION LOOK BOOK	5

U N D E R T A K I N G S

Description

Page No.

---

NO UNDERTAKINGS WERE FILED IN THIS PROCEEDING.

1 Wednesday, May 22, 2024

2 --- On commencing at 9:34 a.m.

3 MR. JANIGAN: Good morning. Ontario Energy Board has  
4 convened this proceeding today to provide Toronto Hydro  
5 with the opportunity to outline and discuss the components  
6 and requests in its 2025 to 2029 custom IR application for  
7 electricity distribution rates and charges. My name is  
8 Michael Janigan. I will be the presiding commissioner in a  
9 panel composed of Commissioner Allison Duff and  
10 Commissioner Anthony Zlahtic.

11 Toronto Hydro will be setting out a brief outline of  
12 the application request with the supporting evidence they  
13 hope to present to support those requests.

14 We expect that Toronto Hydro's presentation will be  
15 approximately 90 minutes in length and in addition, there  
16 may be questions by the Panel to clarify or enhance the  
17 understanding of the application.

18 It is expected that there will be only questions from  
19 the Panel; however, the proceeding is being transcribed and  
20 may be referenced by party in the course of the hearing or  
21 the application.

22 The Panel would also ask for a mercy from the  
23 presenters with respect to the use of acronyms. One notes  
24 that acronyms in regulatory evidence have proliferated  
25 faster than this commissioner, in particular, is able to  
26 commit to memory, and the use of the full wording as much  
27 as possible would be greatly appreciated.

28 I will now ask Lawren Murray and Charlotte Kanya-

1 Forstner to outline important procedural and technical  
2 aspect of the presentation today.

3 **PROCEDURAL MATTERS:**

4 MR. MURRAY: Thank you very much, Commissioner  
5 Janigan. I have a few technical reminder for parties  
6 during today's virtual -- today's event.

7 First, this event is being transcribed and as a result  
8 people cannot talk over one another. You have to speak  
9 clearly and into your microphone.

10 Second, parties appearing virtually should turn off  
11 their video and audio when they are not speaking.

12 Third, I will remind people that while the chat  
13 function is available in Zoom, nothing said in chat  
14 function will be recorded or appear in the transcript of  
15 today's event.

16 Fourth, this event is being streamed on YouTube. It  
17 is also being recorded by the OEB to assist with  
18 transcription services only and today's event should not be  
19 video recorded by any other party.

20 And finally, Zoom allows you to join this event by a  
21 landline or cell phone, therefore please make sure to write  
22 down the Zoom telephone numbers which are included in  
23 today's invitation.

24 Finally, in case you drop off the presentation and are  
25 unable to rejoin the event, please immediately inform  
26 hearing's advisor Ashley Sanasie at ashley.sanasie@oeb.ca.

27 And with that, I will now pass things over to Ms.  
28 Sanasie who will provide the land acknowledgment.



1           **LAND ACKNOWLEDGEMENT**

2           MR. SANASIE: The Ontario Energy Board acknowledges  
3 that our headquarters in Toronto is located on the  
4 traditional territory of many Nations, including the  
5 Mississaugas of the Credit, the Anishinaabeg, the Chippewa,  
6 the Haudenosaunee, and the Wendat peoples. This area is  
7 now home to many diverse First Nations, Inuit, and Métis  
8 Peoples. We also acknowledge that Toronto is covered by  
9 Treaty 13 with the Mississaugas of the Credit. We are  
10 grateful for the opportunity to gather and work on this  
11 land, and recognize our shared responsibility to support  
12 and be good stewards of it. Thanks.

13          MR. JANIGAN: Thank you very much. Despite the limits  
14 on participation, we would ask those parties in attendance,  
15 both in person and virtually to now enter an appearance.  
16 And we will start with those that are present.

17           **APPEARANCES:**

18          MR KEIZER: Charles Keizer, counsel on behalf of  
19 Toronto Hydro.

20          MR. JANIGAN: Okay. I was going to leave Toronto  
21 Hydro Staff to the last but that's okay. Go ahead. If you  
22 also identify any participants and presenters that might --

23          MR KEIZER: Well, what we would do is probably have  
24 the panel identify themselves, their role at the time of  
25 the presentation.

26          MR. JANIGAN: That will be fine.

27          MR. RUBENSTEIN: Mark Rubenstein, counsel for the  
28 School Energy Coalition.

1 MR. LADANYI: Good morning, Commissioners. My name is  
2 Tom Ladanyi. I am consultant representing Energy Probe and  
3 also Coalition of Concerned Manufacturers and Businesses of  
4 Canada and online listening is Michael Ladanyi, who is  
5 working with me.

6 MR. JANIGAN: Okay. Can we have appearances by  
7 virtual -- by those that are on for the virtual hearing?

8 MR. GARNER: Well, if I can start. It is Mark Garner  
9 and I appear for Vulnerable Energy Consumers Coalition,  
10 along with my colleague Mr. Harper.

11 MR. BROPHY: Good morning, Commissioners. Michael  
12 Brophy on behalf of Pollution Probe.

13 MS. GIRVAN: Good morning, Commissioners. It is Julie  
14 Girvan on behalf of the Consumers' Council of Canada.

15 MR. ELSON: Good morning. This is Kent Elson on  
16 behalf of Environmental Defence.

17 MR. DAUBE: Good morning. Nick Daube for the  
18 Distributed Resource Coalition.

19 MS. SCOTT: Jane Scott, I am consultant for the School  
20 Energy Coalition.

21 MS. GRICE: Good morning. Shelley Grice, consultant  
22 for the Association of Major Power Consumers in Ontario.

23 MR. ROSENBLUTH: Good morning. It is Dan Rosenbluth,  
24 counsel for the Power Workers' Union.

25 MR. JANIGAN: Okay, have we missed anyone that is on  
26 virtually?

27 MR. LI: Yes, good morning. Clement Li representing  
28 BOMA, Building Owners and Managers Association.

1 MR. JANIGAN: Thank you, Mr. Li. Wonder if I could  
2 turn to Board Staff to identify themselves and --

3 MR. MURRAY: Thank you, Commissioner Janigan. Once  
4 again, my name is Lawren Murray. I am counsel to Board  
5 Staff and with me is Charlotte Kanya-Forstner, my co-  
6 counsel. Our articling student James Gravelle. And from  
7 OEB Staff we have Thomas Eminowicz, Donald Lau and  
8 appearing virtually is Margaret DeFazio.

9 MR. JANIGAN: Thank you very much. I wonder if I  
10 could ask Toronto Hydro now to commence their presentation.

11 MR KEIZER: Yes. At first, I think, if it would be  
12 appropriate to mark the presentation, I guess, for  
13 identification, since there could be future reference.  
14 Presented to you this morning on the dais were two  
15 documents. One was a copy of the presentation. The second  
16 is, I guess, a document that's referred to as a look book,  
17 with the series of photographs which are referenced in the  
18 evidence. I will ask Mr. Murray as to what they should be  
19 marked as.

20 MR. MURRAY: The presentation will be marked as KP1.1.

21 **EXHIBIT KP1.1: TORONTO HYDRO-ELECTRIC SYSTEM LIMITED**  
22 **PRESENTATION**

23 And the look book will be marked as Exhibit KP 1.2.

24 **EXHIBIT KP1.2: TORONTO HYDRO-ELECTRIC SYSTEM LIMITED**  
25 **PRESENTATION LOOK BOOK**

26 MR KEIZER: Thank you, Mr. Murray. I understand,  
27 there may be certain -- is there technical difficulties  
28 with the presentation?

1 MR KEIZER: Sorry, could I just have a moment please?

2 It's one of those mornings, Mr. Chair. Apparently the  
3 presenter who was controlling the presentation was kicked  
4 out of Zoom, so we're waiting to rejoin Zoom.

5 I think we are now up and running. Thank you for your  
6 patience. I think the probably most appropriate and  
7 efficient way to proceed with respect to the presentation  
8 is ask Ms. Coban to initiate the presentation and maybe to  
9 introduce her fellow panelists, and then I will turn it  
10 over to the panel.

11 **TORONTO HYDRO-ELECTRIC SYSTEM LIMITED - PANEL 1**

12 **Daliana Coban,**

13 **Matthew Higgins,**

14 **Kirk Huntley,**

15 **Dan Smart,**

16 **Evelyn Page**

17 **PRESENTATION BY MS. COBAN:**

18 MS. COBAN: Thank you, Mr. Keizer. Good morning,  
19 Commissioners. My name is Daliana Coban, and I am the  
20 director of regulatory applications at Toronto Hydro.

21 We are very grateful for this opportunity to provide  
22 you an overview of our investment plan and rate  
23 application. As you know, this is Toronto Hydro's third  
24 custom IR application under the OEB's renewed regulatory  
25 framework.

26 What you will hear about today is how our investments  
27 over the last two custom applications have delivered  
28 benefits to customers in terms of performance and

1 efficiency. In this next rate period, we are looking to  
2 sustain those improvements and we're also looking to invest  
3 in getting the grid and our operations ready for a future  
4 that is not like the past.

5 An energy transition is unfolding in the city of  
6 Toronto and is expected to accelerate in the next decade at  
7 the same time that the city continues to grow, densify, and  
8 welcome new residents and businesses to its borders. As  
9 this transition unfolds, more customers will be relying on  
10 electricity for their day-to-day needs and leveraging new  
11 technologies to generate their own electricity and to  
12 manage their consumption.

13 Today, my colleagues and I will tell you about our  
14 minimum investments necessary to get ready for this future  
15 state. Underneath the broad brush strokes that we're going  
16 to talk about today are thousands of pages of evidence that  
17 contain the substantiating facts and details behind our  
18 proposals, and, along with today's presentation, you have a  
19 compendium with the key evidence references, where you can  
20 find some of those details.

21 We also, as Mr. Keizer mentioned, have in front of you  
22 today a look book with some of the pictures that relate to  
23 the infrastructure and the aspect of our operations that  
24 we're going to be speaking about today. My colleagues will  
25 explain the what and the why of the plan, and I'm going to  
26 focus on the how we are going to get this done from a  
27 regulatory perspective.

28 On the right, I have Mr. Higgins and Mr. Huntley.

1 They are going to take us through the distribution system  
2 plan and the maintenance plan associated. And on the left,  
3 Mr. Smart and Ms. Page are going to take us through grid  
4 operations and customer service and investments.

5 Before I hand it over to them, I want to take you  
6 through the how, and that is the custom rate application  
7 that we've designed to enable this plan to be delivered and  
8 to enable us to achieve the outcomes that underpin this  
9 plan. We think that starting with the how is important to  
10 really [audio dropout] your role here in this process,  
11 which is to set just and reasonable rates that align with  
12 the OEB statutory objectives.

13 Those objectives are of course to protect customers  
14 with respect to service quality, efficiency, and price  
15 outcomes; to promote innovation in the sector; and to  
16 ensure that we have a financially viable sector by  
17 providing utilities and their shareholders an opportunity  
18 to earn a fair return on their investment.

19 So, starting off with the custom incentive rate  
20 framework, if we can just flip to the next slide, please.  
21 So, the investment plan and the rate framework that  
22 underpins it is responsive to a number of drivers of change  
23 and evolution that you are going to hear about today in our  
24 presentation.

25 So, in this application, we undertook to design a  
26 custom rate framework that works within the four corners of  
27 the OEB's RIF, the handbook, the filing requirements, with  
28 purposeful evolutions to address these needs and challenges

1 that we face ahead. In doing so, we were guided by a  
2 number of principles which you will see summarized in the  
3 appendix.

4 Those principles were: 1) to deliver customer  
5 outcomes and advance public policy objectives; 2) to  
6 balance the interests of customers and utilities and their  
7 shareholders; 3) to ensure that we continue to have  
8 stability and predictability so that we can make effective  
9 multi-year plans and decisions; 4) to ensure that we have  
10 flexibility to execute those multi-year plans in more  
11 dynamic circumstances; and 5) to protect customers and the  
12 utility from structural forecasting risks that we see in  
13 times of greater uncertainty.

14 So, putting these principles together and looking at  
15 the needs and challenges that we face ahead, they can be  
16 distilled down into three elements that you see here, on  
17 the screen. Our framework is responsive to these elements.

18 The first is the funding challenge, and the funding  
19 challenge is about designing a rate formula that enables us  
20 to deliver that multi-year plan; to sustain, expand, and  
21 modernize our operations; and advance the customers'  
22 outcomes that they expect and want.

23 The performance challenge is about how we balance the  
24 incentives in our current framework so that we can achieve  
25 harmony between service quality, efficiency, and financial  
26 performance outcomes during this time of change and  
27 transition. And the uncertainty challenge recognizes that,  
28 although the path to net zero remains uncertain, all

1 scenarios point to an increase in electricity demand in the  
2 next two decades, so we have to act now to get the grid  
3 ready, but we also need to remain flexible to be able to  
4 adapt if the future differs from what we expect sitting  
5 here today.

6 So what I want to do in this part of the presentation  
7 is take you through each of these challenges and explain  
8 how the custom rate framework that we've designed is  
9 responsive to addressing these particular needs and  
10 challenges.

11 So, starting off with the funding challenge, what you  
12 have here on the screen, you can see our total investment  
13 plan over our past, our current, and our future custom IR  
14 framework. And, as you can see on the slide and as you're  
15 going to hear about in more detail from my colleagues  
16 today, our plan exceeds our historical investment  
17 requirements by approximately 34 percent because we are  
18 getting ready for a future that is different than our past.

19 This plan contains the minimum investments that we  
20 need in assets and systems and people in order to be able  
21 to be ready for that future while we continue to maintain  
22 our table stakes of safe and reliable service. And we put  
23 this plan together, as Mr. Higgins will talk about in more  
24 detail, by taking into account customer needs and  
25 preferences.

26 We know that price continues to be a top priority for  
27 our customers, so striking that balance between price and  
28 the other outcomes that customers also value is at the



1 heart of this plan and was a primary objective as we  
2 prepared this plan. My colleague Mr. Higgins will tell you  
3 a bit more about how we struck that balance and certain  
4 aspects of our plan where we held back investment in order  
5 to do our part to keep prices as reasonable as possible.

6 In the next slide, I also want to talk a little bit  
7 about our operational investment plans because these needs,  
8 too, stand apart from our historical expenditures, as you  
9 can see from the graph on the top left that shows our total  
10 OM&A expenditures for the past, the current, and the future  
11 rate periods.

12 When we look at this graph, what I want to point out  
13 is that resourcing costs are the largest component of our  
14 operational plan, with the workforce making up about 45  
15 percent of our OM&A budget in the next rate cycle. And the  
16 reason for that is, from 2023 to 2029, we expect an  
17 increase in FTEs -- these are full-time equivalents, is how  
18 we refer to our workforce -- of approximately 25 percent.  
19 And we know that this need is consistent with trends that  
20 we're seeing in the electricity labour market more broadly.

21 Electricity Canada put out a report last year, their  
22 human resources. Electricity Human Resources Canada put  
23 out a report last year, indicating the labour market  
24 insights that they gleaned from a study that they  
25 performed, and, in that report, they note that the demand  
26 for labour in the electricity sector in Canada is expected  
27 to increase by approximately 23 percent from 2023 to 2028.  
28 So we know that this plan is aligned with where the rest of

1 the sector is going in terms of workforce.

2 From a historical perspective, we know we have a lean  
3 workforce compared to the other large- and medium-sized  
4 distributors here, in the province, that serve the largest  
5 cities in Ontario, and you can see this from some of the  
6 key facts that we highlighted on the right-hand side of the  
7 screen in terms of our FTE benchmarking.

8 And, to achieve in over the last 10-years-plus, we've  
9 deployed many strategies, some of which you'll hear about  
10 today and certainly all of which are detailed in the  
11 evidence, strategies such as outsourcing, harmonizing our  
12 jobs, and automating our processes so that we can increase  
13 that throughput for FTE and do more work with less people  
14 over time.

15 And you can see the results of this strategy in the  
16 graph at the bottom that shows our FTE complement from 2015  
17 to 2023. You can see that the FTE complement has declined  
18 by approximately 12 percent over that period, and, if we  
19 reach back even further in history, you would see an even  
20 bigger drop in our FTE complement.

21 So what I want to emphasize is that, through these  
22 productivity and accomplishments, largely focused on our  
23 workforce and getting more throughput in our workforce, we  
24 have been able to contain costs and function under a  
25 standard funding framework for our operational  
26 requirements. But it is no longer possible for us to do  
27 that going forward, so one of the key elements of our  
28 framework includes a need for multi-year funding for our

1 operational programs as well as our capital programs.

2 To put that need, for you, in context, if we had to  
3 operate within a standard IRM framework in this next 5-year  
4 period, we would be looking at having to reduce the  
5 workforce plan that we put in the application by  
6 approximately 220 resources compared to what we've  
7 proposed, and that outcome is not sustainable for too two  
8 main reasons.

9 The first reason is that, as we have a larger capital  
10 program, we simply need more resources to be able to  
11 execute that program safely and efficiently. And the  
12 second reason, as you'll hear about today, is that we have  
13 to invest in workforce capabilities that we don't currently  
14 have today in order to be able to harness the power of  
15 technology and innovation, to drive towards long-term  
16 productivity and efficiency and performance outcomes from  
17 our -- for our customers.

18 So the main takeaway from this slide is that we have  
19 those prudent investments in human capital are really at  
20 the heart of why our application includes a custom funding  
21 request for OM&A as well as for capital.

22 So, moving on to the next slide, based on the multi-  
23 year investment plan that we put together that you are  
24 going to hear about today, we have a funding challenge in  
25 this application that is worth approximately \$455 million.

26 This is the difference in revenue that is required to  
27 fund our plan. That's the teal green line that you see at  
28 the top of the graph, and the revenue that's available

1 under a standard price cap framework with a full rebasing  
2 in 2025. That's the orange line at the bottom of the  
3 graph.

4 Given the programmatic nature of our investment plan,  
5 our investments don't fit well within the ICM-ACM project  
6 base criteria. So a custom framework continues in our view  
7 to be the most effective and efficient way for us to  
8 address this funding challenge.

9 And the framework that we propose is known as the  
10 custom revenue cap index, the CRCI. And what I want to do  
11 you with you in the next slide is take you through that  
12 framework and explain how we get from our current custom  
13 framework, which is known as the custom price cap index,  
14 the CPCI, how we get from that framework to this framework,  
15 by taking you through each of the coloured boxes that we  
16 have here on the slide, to try to explain how we are  
17 modifying the existing framework to get to the proposed  
18 framework.

19 So, starting off with the orange box on the left side,  
20 we are shifting from a price cap to a revenue cap model in  
21 this application.

22 In both models, the rates are set in year one based on  
23 a full cost of service rebasing methodology, using the  
24 Board's standard cost allocation model and rate design  
25 parameters.

26 What happens is the difference happens in years two to  
27 five. So in years two to five in a price cap, what we do is  
28 we escalate the rates themselves by a custom index, and we

1 back out from that index the topline growth factor, which  
2 accounts for the fact that we were going to see revenue  
3 increases as a result of growth and billing determinants  
4 over the period. And that growth, of course is projected  
5 from our five-year load forecast.

6 In a revenue cap, the key difference is what happens  
7 in years two to five; we escalate the base revenues, rather  
8 than the rates by that approved custom index. And then we  
9 apply that expected growth and billing determinants in each  
10 class to determine the rates annually.

11 This shift from a revenue cap -- to a revenue cap in  
12 our view better captures the impact of growth and billing  
13 determinants over the 2026 to 2029 period, in that it  
14 allows us to look at that growth at an individual rate  
15 class level rather than assume a topline growth factor  
16 across the entire custom index.

17 So, by shifting to a revenue cap, the growth factor in  
18 the formula, that's the yellow box at the end of the  
19 formula that you see there, is no longer required. And  
20 that's one of the ways in which this formula becomes much  
21 simpler.

22 I want to move on to the green box, which describes  
23 the rate mechanism, the funding mechanism that allows us to  
24 deliver this plan.

25 The previous capital factor that we had in the formula  
26 is replaced by what we call the revenue growth factor, the  
27 RGF.

28 And that revenue growth factor is derived from the

1 year-over-year increases in our base revenue requirement  
2 that we need to fund both the capital and the operations  
3 programs that you are going to hear about today. And this  
4 evolution of the C-factor that we have proposed really  
5 reflects the need for incremental funding above I-X for  
6 both capital and operations.

7 The RGF enables us to make those investments in both  
8 hard assets out in the field as well as in our people that  
9 enable this work to be executed safely.

10 So from the RGF, what we then do is we remove the  
11 OEB's forecasted inflation factor. So that annually, when  
12 we come in to set the rates, we can apply the actual  
13 inflation factor that has been approved by the OEB for that  
14 year, to set our rates mechanistically.

15 And so, with the RGF covering the entire revenue  
16 requirement and having removed that forecasted inflation  
17 factor, we no longer need to scale the funding factor by  
18 inflation. So that S-cap times inflation that you see  
19 there in the yellow box can be entirely removed from the  
20 formula, and is another way in which this formula becomes a  
21 bit simpler and more straightforward to explain.

22 The last box that I want to take you through is the  
23 blue box that you see here on the screen. And I think this  
24 is probably the most important element of our framework in  
25 terms of evolution; this is where the incentives in our  
26 framework are placed.

27 So, as you know, the current X-factor is a top-down  
28 cost control incentive through the stretch factor. It

1 reduces the revenue that we are able to collect, creating  
2 an upfront benefit for customers and putting an incentive  
3 on the utility to deliver its plans and manage its  
4 operations within a reduced revenue envelope. And that  
5 stretch factor that we have in place today is determined by  
6 empirical total cost benchmarking. However, one of the  
7 things we have seen in recent custom IR applications is the  
8 imposition of an incremental stretch factor, over and above  
9 what the benchmarking yields.

10 So in this application, we are proposing an X-factor  
11 of 0.75 percent, and there are three parts to that X-  
12 factor. The first is a zero percent productivity factor.  
13 This is consistent with the OEB's current policy for all  
14 the distributors in Ontario.

15 The second component is a 0.15 percent efficiency  
16 factor that is supported by our custom total cost  
17 benchmarking study. And the third component is a 0.6  
18 percent proactive incremental stretch factor that gives  
19 rise to this innovative performance incentive mechanism  
20 that we have developed as part of the framework.

21 I will spend a bit more time explaining that  
22 mechanism.

23 So, in this framework, efficiency continues to be a  
24 key outcome, but it lives alongside other outcomes that are  
25 important to us and our customers, like having a reliable  
26 and resilient system that is able to connect, expand its  
27 services in a timely manner. And so with this innovation,  
28 we believe that the X-factor that we have proposed here

1 enables an evolution towards more comprehensive performance  
2 incentives that include both efficiency and service quality  
3 outcomes that customers value.

4 And so, in doing so, it is one of the ways in which we  
5 are aligning the framework and the evolution to the  
6 framework with that principle of finding balance and  
7 alignment between customer interest and utility objectives  
8 in this period. And we do find that balance by tying a  
9 portion of our financial performance in this period  
10 directly to service quality, efficiency, reliability and  
11 other outcomes that customers care about.

12 So, in this next slide, what I want to do is take you  
13 through a bit more detail, explaining the PIM, recognizing  
14 the novelty of this concept.

15 First and foremost, the PIM, in designing it, one of  
16 the things that we had in mind was the Board's guidance in  
17 our last custom IR application, where we were urged to look  
18 for better ways to improve the risk-reward balance in our  
19 framework.

20 We do that with the PIM providing greater  
21 accountability and protection to our customers for the  
22 outcomes and the benefits of our plan. And, through the  
23 incremental stretch factor above what the benchmarking  
24 supports, we provide customers a greater upfront rate  
25 reduction benefit, and we provide the utility an  
26 opportunity, not a guarantee, to make its full rate of  
27 return if it delivers on a number of performance objectives  
28 that we know will provide value to our customers.



1           So this revenue reduction that is enabled by the PIM,  
2     the \$65 million that you see here on the screen, that  
3     reflects a portion of our regulated rate-of-return earnings  
4     that we would be allowed to earn under the fair return  
5     standard in the normal course.

6           Some may characterize this as a penalty mechanism; we  
7     don't think of it that way. We think of it as an  
8     accountability and a rate mitigation mechanism that puts  
9     more skin in the game for performance. And, in doing so,  
10    it shifts incremental performance risk to the utility and  
11    protects customers by holding us accountable to the  
12    outcomes that you see on the screen.

13          In terms of quantum, this PIM we believe is a  
14    significant financial commitment to performance. And I  
15    want to put that in context for you. So when we were  
16    looking at that \$455 million revenue deficiency, under --  
17    when we compare our plan to IRM, the PIM represents  
18    approximately 14 percent of that incremental revenue that  
19    gives rise to the need for custom rates in this  
20    application.

21          Under the PIM, we only achieve, have the opportunity  
22    to achieve our deemed ROE if we deliver the benefits on the  
23    right. And we know that these benefits provide high value  
24    to customers. Coupled with the efficiency factor, the  
25    minimum direct economic benefits that the PIM yields is  
26    approximately \$90 million compared to an incentive of  
27    \$65 million. So this is a net benefit of \$25 million for  
28    customers, plus many other benefits that you see here on

1 the screen which, although we cannot quantify, we know are  
2 important to customers, things such as customer  
3 satisfaction, safety performance and making progress  
4 towards our grid automation objectives.

5 In the appendix, we've included a slide which I don't  
6 propose to go through today unless you'd like more  
7 information about how we envision the procedural aspects of  
8 the PIM to work but we have that summarized in the  
9 appendix.

10 You can see all of the steps that are involved in the  
11 implementation, the review, the clearance of the PIM and  
12 set out sort of in a linear fashion so we can see how we  
13 get from where we are today to the eventual clearance of  
14 the PIM in our next rebasing application.

15 In the next slide dealing with challenges, this is the  
16 last aspect of our custom application is the demand-related  
17 variance account.

18 And we're proposing this as a flexibility mechanism,  
19 to deal with the practical challenge that we simply face  
20 greater demand uncertainty in the next period as we go  
21 through this first chapter of the energy transition, you  
22 will hear about today from my colleague, Mr. Huntley, we  
23 have a System P customer connection forecast, a DER  
24 forecast that drives investment in the grid and we also  
25 have a revenue forecast that accounts for that growth and  
26 billing determinants.

27 Both of these forecasts are subject to a number of  
28 external factors that create the potential for greater

1 variability in the next five-years.

2       Some of these factors include customer behavior with  
3 respect to the adoption of new technologies, like EVs, and  
4 heat pumps and distributed energy resources, all of these  
5 technologies will effect where, when and how demand  
6 manifests on the grid in the next rate period.

7       We also have the rapid technological advancement that  
8 will affect how we decarbonize the energy system and serve  
9 our customers in the future. On top of that we have policy  
10 and regulation that could accelerate or stagnate the pace  
11 of adoption of these technologies by our customers and also  
12 could introduce other variables in the mix, such as  
13 immigration and the imperative to build housing faster here  
14 in Ontario.

15       And last lastly, there is macro factors like supply  
16 chains and geopolitical dynamics that could affect the pace  
17 of the energy transition at large beyond what we're seeing  
18 here in Ontario.

19       So, in short, you know, what I want to convey from  
20 this quick recap of the uncertainty factors that we face is  
21 that demand is more dynamic than it has been in the past  
22 and while we've got the best forecasting tools and we've  
23 done our best to anticipate how demand is going to manifest  
24 in our plan in terms of the cost and the revenues  
25 associated with this plan, there is just inherent  
26 uncertainty ahead that we cannot control.

27       So, the challenge is that we need to have flexibility  
28 to adapt if things change and this account here, that you

1 see here on the screen is our proposal to build that  
2 flexibility into the plan.

3 The account has two main features. The first is an  
4 expenditure sub-account that's detailed on the left side.  
5 This sub-account tracks variances in actual to forecast  
6 expenditures in a number of demand-driven programs that Mr.  
7 Huntley will take us through in more detail. These are by  
8 and large the programs that make up the growth component of  
9 our plan.

10 And on the right side we have a revenue sub-account  
11 that reconciles variances arising from forecast to actual  
12 weather normalized billing determinants.

13 Together what these accounts do is protect customers  
14 units from structural unknowns in our forecasts so that  
15 neither party will profit or lose from uncertainty as we go  
16 through this first chapter of the energy transition.

17 To wrap up my portion of the presentation I would like  
18 to take you through the proposed rate impacts associated  
19 with our plan. Those are shown in the second column of  
20 this table where you can see the average annual monthly  
21 increase in both dollars and percentages for each major  
22 rate class and what the rest of this table does is  
23 summarize the results of our Phase 2 customer engagement  
24 and compares those results with a similar engagement that  
25 we did you to the lead up in the last application that we  
26 did in 2018.

27 So, across the board what we saw in our Phase 2  
28 customer engagement when we tested these rate impacts with

1 our customers and our plan, we saw broader and deeper  
2 engagement than we did in 2018, both in terms of the  
3 overall participation but also the mode of participation.

4 In 2018 we supplemented the workbook, we call it, the  
5 survey that customers complete with the telephone survey so  
6 that we can have statistically significant results.

7 This time around we didn't have to do that because  
8 many customers took time out of their busy day to complete  
9 the workbook and the overall participation numbers really  
10 exceeded our expectations in this most recent customer  
11 engagement, especially in the residential class where we  
12 saw nearly a threefold increase in the number of customers  
13 who completed the survey.

14 And in terms of social permission that's the last  
15 column, in blue. The results were also stronger than what  
16 we saw in 2018, despite the fact that we have larger  
17 increases proposed in this application. Across the board  
18 we had an average of 84 percent social permission in this  
19 application, compared to 69 percent last time.

20 So, when we looked at these results, at the tail end  
21 of our planning process we concluded from these results  
22 that we by and large had struck the right balance in our  
23 plan in terms of finding that balance between price and  
24 affordability and other outcomes that customers care about.

25 And my colleagues today will also speak to you about  
26 some of the specific choices in our plan where that balance  
27 was struck. So with that, that concludes my portion of the  
28 presentation. Thank you, panel.

1 I'm happy to take questions about the framework or we  
2 can reserve all of that for the end. I'm in your hands.

3 MR. JANIGAN: Mr. Zlahtic has a question right now.

4 MR. ZLAHTIC: Actually, Ms. Coban, it is on your last  
5 slide, 11. And you're showing percentage increases or  
6 dollar increases on a monthly basis. What timeframe is  
7 that? Is that by 2029 relative to today or...

8 MS. COBAN: That timeframe looks at the average  
9 monthly increase from 2024 to 2029. So, it takes into  
10 account the impact of the rebasing in 2025 out to the end  
11 of the rate period. But it is an annual number that you  
12 see there, an average annual number from 2024 to 2029.

13 MR. ZLAHTIC: Okay. I'm still trying to interpret.  
14 So, let's say for example, the residential rate class that  
15 over the period 2024 to the end of the rebasing period,  
16 2029, on average there will be a 7 percent annual increase?

17 MS. COBAN: That's right.

18 MR. ZLAHTIC: Okay. I got it now. Thank you.

19 MR. JANIGAN: We'll reserve the questions until  
20 presentation is finished for the most part.

21 **PRESENTATION BY MR. HIGGINS:**

22 MR. HIGGINS: Okay. Thanks, Ms. Coban, and thank you  
23 to the commissioners for the opportunity to present our  
24 capital plan today. My name is Matthew Higgins, I'm the  
25 director of integrated planning and modernization within  
26 our planning engineering and modernization division at  
27 Toronto Hydro.

28 My team's sort of broad responsibility is running our

1 integrated planning process as part of our asset management  
2 system to pull together these multi-year capital and  
3 maintenance plans so I'm going to take the opportunity  
4 today with some help from my colleague, Mr. Huntley, to  
5 describing describe the various aspects of our capital plan  
6 at a high-level.

7 I want to start on the first slide here, just by going  
8 back and reflecting a little bit on where we've been with  
9 our capital plan.

10 And on the left-hand side of the chart you -- what you  
11 are seeing here reflect the scale-up of capital investment  
12 that began with our ICM application back in 2012 and  
13 continued through our first two CIR periods.

14 These investments were really focused on the core  
15 needs of our system and what I mean by that is they were  
16 necessary to address a backlog of ageing, deteriorating and  
17 obsolete distribution assets, and to keep up with a rate of  
18 vertical growth in the City of Toronto that has been  
19 unparalleled in North America.

20 Our goal with respect to reliability specifically in  
21 this period was, first, to reverse the trend of performance  
22 deterioration that we had seen at the beginning, before the  
23 beginning of this period and then as part of our 2020 CIR  
24 plan the goal was to invest only the minimum necessary to  
25 maintain reliability while minimizing rate impacts.

26 And as the charts on the right show, the top one is  
27 safety related to defective equipment and the bottom one is  
28 our SAIDI for most of the other cause codes.

1           What these charts show is that we've largely achieved  
2 those objectives, we had a fairly steady improvement trend  
3 in reliability right up until about 2019. And then a bit  
4 of a rebound in the past period, but if we look at it as  
5 sort of a rolling average we've generally sort of been  
6 sitting and maintaining at a new plateau for those  
7 reliability statistics for the last four years or so. And  
8 so, the key takeaway from this slide that I think is  
9 important in understanding the rest of what you're going to  
10 hear today is that when it comes to asset failure risk and  
11 our system renewal investments in particular, we have  
12 successfully stabilized this part of our plan. And going-  
13 forward the planned scale-up and CAPEX that you've already  
14 seen on some of Ms. Coban's slides will be focused more so  
15 on growth and modernization with a couple of targeted  
16 exceptions that I will get in to as we [audio dropout] the  
17 statement plan.

18           Before I do that, just a couple of more context  
19 setting slides. So, did I want to pivot to just talk about  
20 the shift in context for growth and modernization in  
21 particular, those areas where we are seeing a bigger scale-  
22 up and, you know, rewind to where when were creating this  
23 investment plan in 2022.

24           We were faced at that time with an industry discussion  
25 and some open questions that were just beginning, were very  
26 fresh and very active around what the scope and the pace of  
27 electrification was going to look like, both in terms of  
28 demand as well as distributed energy resources,



1 conservation and demand management, very open questions  
2 about what the shape of that net-zero commitment was going  
3 to look like across society and locally. And so, for the  
4 first time in a very long time, we had to grapple with the  
5 fact that the future wasn't -- we could not safely assume,  
6 at least, that the future was going to look like the past.  
7 And so, to grapple with this shift in context, what we  
8 decided to do as part of our planning process was to  
9 undertake what we call our "Future Energy Scenario Study."

10 And, very briefly, this study was done with support  
11 from a consultant from the UK who is a leading expert in  
12 this kind of system modelling for these purposes, and we  
13 applied their approaches, including consumer choice  
14 modelling, to our system and our customer base to  
15 essentially craft a few different scenario worlds that we  
16 thought would represent a credible range of possible  
17 transformations and paces of transformation in the energy  
18 system, and we then mapped the results of that onto our  
19 local system to assess the impacts from a demand  
20 perspective as well as looking at, for example, the rate of  
21 DER adoption and how that would impact complexity on the  
22 grid.

23 There were a lot of takeaways, but the real key ones  
24 that ultimately influenced this plan were these: The study  
25 did obviously, as you can see on the screen, confirm that  
26 there is in fact a significant range of potential outcomes,  
27 which are dependent upon developments in consumer  
28 behaviours, policy, technology, et cetera, things that are

1 very difficult to predict at this stage but which we know  
2 will evolve over the next five, ten years.

3       The biggest drivers that really jumped off the page  
4 for us -- and you'll hear a little bit more about some of  
5 these in Mr. Huntley's presentation -- were really related  
6 to buildings, so building electrification, decarbonized  
7 heating as well as, on the inverse side of that,  
8 efficiency, particularly thermal efficiency and demand  
9 response. Those are really the drivers we're now watching  
10 in terms of what could really swing these lines between  
11 what you see on the screen, the two -- the shaded area  
12 there between the two yellow lines.

13       And then, finally, we also noted that, until about  
14 2029 or 2030, all of the scenarios are relatively  
15 consistent with one another and it isn't until the early  
16 2030s where we begin to see a really significant  
17 divergence.

18       So, with these factors all in mind, we set out to  
19 develop a plan that was appropriate for this level of  
20 uncertainty and this level of potential change, and I  
21 think, stepping back, regardless of the scenario, we know  
22 that in the next 15 to 25 years we're looking at  
23 significant investments in the grid on the basis of these  
24 trajectories. But, in the next five years, what we have is  
25 an opportunity to sort of ready ourselves for a number of  
26 potential different scenarios.

27       And so the approach that we took to that was something  
28 we have called the "least-regrets approach." You may have

1 heard something similar, "no regrets," things like that,  
2 from other jurisdictions. Ours is a little bit more modest  
3 in terms of least regrets. But the approach in a nutshell  
4 has essentially involved committing to capacity investments  
5 where we know that we have a high degree of certainty that  
6 they are going to be required, while on the other hand  
7 making more nuanced decisions about whether to proceed or  
8 to wait and see when it comes to investments that are sort  
9 of on the margins and, in particular, where underlying  
10 drivers are less settled.

11 It has also meant that we are committing to expanding  
12 the use of non-wires alternatives, because this is going to  
13 be a very important part of our toolkit in managing  
14 uncertainty and risk on the demand side, and also investing  
15 in grid modernization solutions, which I'll talk about  
16 more, which are going to give us the flexibility to  
17 optimize our grid and essentially squeeze more value and  
18 capacity out of the existing assets, which again will give  
19 us flexibility to adapt should situations change quickly in  
20 the future. We are going to talk a little bit more about  
21 some of those least-regrets examples as we go.

22 I'll flip to the next slide now, and I just want to  
23 talk about one last thing that is kind of context-setting  
24 for the plan before we get into the details, and that is  
25 the customer engagement that we did at the beginning of the  
26 planning process. So you already heard from my colleague  
27 Ms. Coban about the second phase of customer engagement,  
28 where we brought the plan back to customers. But, at the

1 beginning of -- yes. I apologize. I could feel myself  
2 speeding up, so I will slow down, yes. Yes, where we  
3 brought the plan back to our customers for the second phase  
4 of customer engagement.

5 So, talking about, just briefly about, Phase I of  
6 customer engagement, so this is -- as we've done with our  
7 previous two CIR applications, we began this planning  
8 process with an initiative to understand general needs and  
9 preferences of our customers so that we could align our  
10 planning decisions to those findings.

11 And, just to quickly summarize, what we heard from  
12 customers kind of boils down to three things. The first,  
13 no surprise, price and reliability continue to be top  
14 priorities for customers. What was interesting about the  
15 findings this time around is that the relative priority of  
16 reliability really moved up closer to price, almost to the  
17 point of being equivalent in terms of what our lower volume  
18 customers were certainly concerned about. And generally,  
19 when it comes to satisfaction with reliability, our  
20 customers are satisfied with their service, and for our  
21 low-volume customers, to the extent that they are seeking  
22 improvements, it would be on the duration side of  
23 interruptions. That flips when we talk about our larger  
24 key account customers, who are more sensitive to individual  
25 outages, and they were more concerned about frequency.

26 The second priority that emerged was around new  
27 technology. When we asked customers about their interest  
28 and support for investments in new technology, it did come

1 up as a very close second to those other two priorities, so  
2 customers do understand the value and expect us to invest  
3 in technology that will make the system better and reduce  
4 costs over time. And that is one of the sort of bedrock  
5 inputs that went into our modernization plan.

6 And, last but not least, customers also do support  
7 investments in system capacity to enable development and  
8 maintain reliability in high-growth areas. It is notable  
9 that 64 percent of our key account customers that we  
10 surveyed in Phase I have their own net-zero goals, and they  
11 do expect us -- and we've heard this even just through ad  
12 hoc engagement with these customers more recently -- they  
13 do expect us to support them in meeting those objectives by  
14 ensuring that capacity is available and that we are  
15 available to provide advice in terms of the energy  
16 transition and the role of the grid.

17 So, with that in mind, we went through our iterative  
18 planning process, and that resulted in the plan that you  
19 see on the right-hand side of the screen, the \$3.9 billion  
20 capital plan, which is expressed through these categories  
21 that ultimately reflect what we heard from customers:  
22 sustainment and stewardship, which I will talk about in a  
23 moment; investing in our assets; growth in electrification,  
24 dealing with these capacity constraints and investing in  
25 non-wires alternatives; modernization, investing in  
26 technology to improve the value of the system and our  
27 operations; and then the supporting investments in general  
28 plant.

1           So, with that, I will move into some of the details  
2 now. So we'll start with sustainment, and then I will kick  
3 it to Mr. Huntley to talk about growth, and then I'll come  
4 back to talk about modernization and general planning.

5           So, on the sustainment side, I already spoke about how  
6 we've been making significant investments in this area to  
7 improve and ultimately stabilize this part of our plan, so  
8 what I wanted to address here is just some of the drivers  
9 that are contributing to the incremental requests in this  
10 area, which we will see in the next slide, from a dollars  
11 perspective.

12          So, just very quickly, some key highlights: In the  
13 top left, we will start with our stations. We have many  
14 municipal stations and transformer stations across our  
15 system. These are backbone, essential, very highly  
16 critical assets that we manage with a low degree of risk  
17 tolerance in terms of failure. The best way to kind of  
18 summarize the challenges that we've got in this area -- we  
19 could look at condition; we could look at performance, but  
20 the easiest way to look at it is just asset demographics.  
21 And what you see on the screen here is 42 to 55 percent of  
22 our major stations assets are past their average expected  
23 service life, and that compares to 25 percent on average  
24 for all distribution assets together.

25          And this is a risk area that's been accumulating  
26 slowly over the years, as we've prioritized our investment  
27 more so on feeders and those assets that do have a direct  
28 impact on SAIDI and SAIFI statistics. But we're now at the

1 stage where taking this more corrective, reactive, more  
2 band-aid type approach, maintenance approach, is no longer  
3 going to work just given the demographic challenges, and so  
4 stations is one area where we are asking for an increase in  
5 funding to support an acceleration of capital investment,  
6 to begin renewing this part of the asset base in the same  
7 way that we have the other parts of our asset base over the  
8 last decade.

9       When it comes to the overhead and underground systems  
10 that serve the Horseshoe as well as parts of Downtown,  
11 these are the areas of our system that really have the  
12 biggest direct impact on SAIDI and SAIFI statistics. This  
13 is where customers really feel the impacts of asset  
14 failure, just by virtue of the nature of the design of this  
15 part of the system. And the story here really is more  
16 grounded in 2020 to 2024 and our experience that we have  
17 had to date with our plan.

18       Our goal coming into this period was to sustain the  
19 condition of these assets, whether it's wood poles,  
20 underground cable, and we've made some progress on that,  
21 but we did face some challenges in the 2020-to-2024 period  
22 related to costs, and as I think everybody knows, it was a  
23 very unique inflation environment coming out of the  
24 pandemic. We had supply-chain challenges, and that  
25 resulted in some upward pressure, significant upward  
26 pressures, on unit prices.

27       And the only way for us to absorb that was to  
28 essentially shift priorities and do somewhat less work.

1 And so some of the assets that you see on the screen that  
2 are highlighted, particularly are wood poles as well as  
3 underground cables, we didn't end up being able to fund as  
4 much work as we had hoped, and some of that work has  
5 spilled into the current rate period, which we are now  
6 catching up on.

7 The other factor was our demand-related investments on  
8 the customer connection side and the load-demand side ended  
9 up being greater than what we forecasted at the time that  
10 we set our plan for 2020 to 2024. And that was another  
11 cost pressure that had to be absorbed somewhere. And one  
12 of those places was in our large system renewal programs.  
13 And so that would explain some of what you see on the  
14 screen here in terms of deteriorating wood pole condition,  
15 as well as some of the challenges we have had with  
16 underground cable.

17 So we are looking to refocus on these assets in the  
18 next rate period and ultimately sustain performance in  
19 these areas.

20 And then finally, on the network system, we have seen  
21 great improvements on our network system. This is the sort  
22 of downtown, very redundant, highly automated part of our  
23 system that is very reliable and serves sort of key dense  
24 areas and large significant customers.

25 This is an area where we have seen improvements in  
26 condition, but we do continue to have a large population of  
27 assets that are what we call non-submersible type, which  
28 means that they are essentially prone to failure risk in



1 flooding conditions which, you know, we expect will become  
2 more frequent with climate change, and is just a risk in  
3 general. And so we are continuing at pace to sort of chip  
4 away at this legacy population in the next rate period.

5 So if we go to the next slide, and just quickly  
6 summarize this from a dollars perspective. And so, on the  
7 top left-hand side of the screen, you can see the programs.  
8 I am not going to go program by program. I think I have a  
9 pretty good overview of what the major drivers are and  
10 where the programs are increasing. For example, stations  
11 renewal, you can see on the screen, is increasing by more  
12 than most of the other programs for the reasons I  
13 discussed.

14 The bottom line is these investment plans, they manage  
15 failure risk. Defective equipment continues to be the  
16 single biggest driver of the reliability experience that  
17 our customers have, and we are looking to sustain safety  
18 related to defective equipment over this rate period.

19 The capital that we are asking for is \$400 million  
20 above what we were spending in 2020 to 2024.

21 I have already mentioned some of the incremental asset  
22 management drivers. I do just want to emphasize, one more  
23 time, that by our estimation at least half and perhaps  
24 closer to 60 percent of that increase is related simply to  
25 input price inflation and the compounding effects of that  
26 over the last rate period into this rate period.

27 And so, less than half of that increase is really  
28 related to volumes of work, and that goes back to the

1 drivers that I mentioned before. But this is a lean plan  
2 and, in some areas, in fact, in order to open up space for  
3 other investment priorities like modernization and growth,  
4 we are accepting actually some incremental risk over this  
5 period.

6 So just one quick example is we don't really expect to  
7 see an improvement in wood pole condition. Rather, we may,  
8 in fact, see continuing moderate paces of deterioration in  
9 asset health as well as in other asset categories. But it  
10 is something that we feel we can manage through  
11 prioritization and other means over the period.

12 One last thing before I kick it to Mr. Huntley for  
13 growth is I did want to just briefly mention our  
14 maintenance programs, because these go hand in hand with  
15 our capital sustainment programs. And the story around  
16 these, there is an increase that we are requesting.

17 Again, the price inflation is a major factor here,  
18 just as it is on the capital side. But the other thing  
19 that is driving increases within our predictive maintenance  
20 and our corrective maintenance programs is we are looking  
21 to rebalance a bit the relationship between OPEX and CAPEX  
22 when it comes to getting value out of our assets.

23 And we have been operating with very lean maintenance  
24 and operational budgets for some time. But what we found,  
25 and this is illustrated in the chart on the right at the  
26 bottom, is that we are starting to see backlogs growing in  
27 terms of corrective maintenance, which is something that we  
28 want to get on top of. And, in the preventive and

1 predictive maintenance categories, we are looking to adjust  
2 some of our maintenance strategies to allow ourselves to  
3 actually keep some of these capital programs in place where  
4 they are, in terms of the pace of work, and still deliver  
5 reliability to customers at that level. And so it is a bit  
6 of a sort of a TOTEX view, where we are looking to  
7 rebalance a little bit. But we think that overall, in  
8 combination, these CAPEX and OPEX expenditures will give us  
9 the best result from a risk and performance perspective.

10 So I will leave that, at that point, and I will pass  
11 to it Mr. Huntley to talk about growth.

12 **PRESENTATION BY MR. HUNTLEY:**

13 MR. HUNTLEY: Thank you, Mr. Higgins. Good morning,  
14 Commissioners. My name is Kirk Huntley. I am the director  
15 of capacity planning and grid innovation at Toronto Hydro.

16 The teams that I lead are primarily responsible for  
17 managing the capacity on the Toronto Hydro grid that will  
18 facilitate connections of both a load nature in terms of  
19 customers or distributed generation.

20 The non-wired solutions portfolio is also managed by  
21 my team.

22 Now you have heard a little bit from my colleagues,  
23 Ms. Coban and Mr. Higgins, about the importance of growth  
24 and electrification to the plan that is before the Board.  
25 And I wanted to start the discussion on growth and  
26 electrification today by focusing on the tool that starts  
27 it all, and that is the peak demand forecast for Toronto  
28 Hydro.

1           Now, on the left of your screen, you will observe the  
2 various drivers that are components that build the peak  
3 demand forecast for Toronto Hydro.

4           Now historically, the peak demand forecast was  
5 developed using a combination approach to numerous drivers,  
6 but with the recognition that electrification is an  
7 important consideration going forward. The utility took a  
8 very disaggregated view to driver inputs in the development  
9 of its peak demand forecast to emphasize the importance of  
10 some unique drivers that are likely to characterize the  
11 pathway through electrification, things like electric  
12 vehicles, electrified transit and municipal energy plans.

13           In addition to that, we have seen in recent times the  
14 proliferation of hyper-scale data centres, which have  
15 occupied an increasing percentage of our customer  
16 connections portfolio.

17           As a takeaway, what has the peak demand forecast told  
18 us? Essentially the drivers that are likely to influence  
19 peak demand in the current or future rate period, meaning  
20 the 2025 to 2029 period, are dominated primarily by data  
21 centres, electric vehicles, municipal energy plans and  
22 electrified transit. Those particular drivers are serving  
23 as key components of growth going forward.

24           Now on the top right of your screen, you will notice  
25 some trends that we have observed. And some are forecasted  
26 over the next rate period.

27           For starters, the peak demand itself of the utility is  
28 expected to grow by about 14 percent over the next five

1 years.

2 Now, that is driven in large part by feeder requests  
3 which have increased by a factor of 30 percent, year over  
4 year, within the last two years.

5 And we have also observed and forecasted a continuous  
6 increase in distributed energy resource connections which  
7 has doubled in the last two years.

8 Now, from a load point of view, municipal development  
9 is serving as one of the key drivers that we have  
10 considered in development of the forecast this year.

11 Primarily, three areas of the city are said to undergo  
12 significant development commencing in this rate period and  
13 proceeding beyond: the Downsview area secondary  
14 development plan, which is forecasted between 300 and 500  
15 megawatts over the next 30 years; the Golden Mile secondary  
16 development plan in Scarborough, which is forecasted at 280  
17 megawatts over the next 15 to 20 years; and the Portlands  
18 area development, which has started, and is set to continue  
19 with an initial connection of 80 megawatts, and is  
20 forecasted to increase from there.

21 Next slide, please. I will move on to discuss in some  
22 more detail customer connections and load demand.

23 Now, those components, as I mentioned earlier, shall  
24 in the case of customer connections is a key driver of  
25 near-term growth in peak demand.

26 Now, Toronto Hydro has seen an increase in the volume  
27 and complexity of customer connections due to ongoing  
28 growth and development in the city. The connections have

1 become larger and more complex.

2 Now, if you look on the map on the right, the largest  
3 circles represent the most significant and complex  
4 connections. And as you can see, there is a significant  
5 distribution across the Toronto Hydro service territory and  
6 the City of Toronto.

7 However, there is an increased concentration along  
8 transit corridors, mainly Eglinton and Yonge Street north.  
9 And that indicates to us the future trend of development  
10 that is concentrated in those specific areas.

11 Now, there has been a significant increase in these  
12 types of connections, more than three times the connections  
13 by type have been experienced over 5MVA, more than 8 times  
14 above 10MVA.

15 Now, just as a matter of scale, some of the large  
16 condo complexes that you see downtown are probably in the 1  
17 to 2MVA range, so we are talking about five or more of  
18 those complexes concentrated in one single spot. That is  
19 the kind of complexity that is involved in the growth  
20 projections that we are experiencing today.

21 Now, customer outcomes are closely connected to the  
22 successful execution of this program. This particular  
23 program should be thought of in a way that directly effects  
24 the customer. This is the program that interfaces,  
25 particularly closely with customers.

26 Now the key challenges that this program faces is  
27 where these customers show up, when they show up and what  
28 determines or the time it takes for the load to

1 materialize, because given these types of connections it  
2 does take a while for the load to appear on the grid so  
3 investments in this program tend to show up at points in  
4 the future. Five years and more in terms of peak demand.

5 Now, I take you now to the right side of the screen to  
6 talk a little bit about load demand. Load demand is a  
7 complementary program to our customer connections program  
8 and it is meant to proactively manage the capacity on the  
9 grid to facilitate future conditions. It does make optimal  
10 use of the existing capacity by moving load from areas that  
11 have constraints, the areas that do not. And it is very  
12 targeted and addresses the capacity constraints in a very  
13 localized manner.

14 As you can see on the map, those areas of the grid are  
15 forecasted to experience constraints over the 2025 to 2029  
16 period, primarily due to some of the growth drivers that we  
17 have discussed today. Next slide please.

18 MR KEIZER: Sorry, I think we may have another  
19 technical glitch at the moment. No, it is just a time lag,  
20 sorry. Sorry, I believe the presenter has to rejoin the  
21 Zoom meeting.

22 MR. JANIGAN: Mr. Keizer, are we near a resolution of  
23 this?

24 MR KEIZER: Well, based on what's on-screen I think  
25 Ms. El-hage is attempting to start the screensharing. We  
26 can either proceed on with the paper version if you want,  
27 if that's the most expeditious or maybe we can take a short  
28 five minute break and see if we can get this fixed. Or...

1 MR. JANIGAN: Well, If you think that it -- may be  
2 resolved in that period we'd be happy to take a five-minute  
3 break.

4 MR KEIZER: That may be the most efficient.

5 MR. JANIGAN: I would add that Toronto Hydro is being  
6 assessed on the basis of utility efficiency, not audio-  
7 visual prowess. So...

8 MR KEIZER: There you go, see? The golden rule, you  
9 leave it out, someone says it's time to take a break and it  
10 starts to work.

11 MR HUNTLEY: Commissioners, I do apologize. I'll get  
12 started again.

13 We were briefly transitioning our growth discussion  
14 from load connections to discuss distributed energy  
15 resources. Now, the map on the left side of your screen  
16 demonstrates that Toronto Hydro has connected more than  
17 2,400 distributed generation connections to date, with a  
18 cumulative capacity of more than 300 megawatts. The  
19 utilities averaging approximately 30 connections a month,  
20 mostly of the micro generation type, less than 10  
21 kilowatts. These connections are primarily of the net  
22 metering type and they are solar PV type connections.

23 Now, in the context of the city of Toronto and Toronto  
24 Hydro, DERs are primarily solar PV and battery energy  
25 storage at this time. They represent the largest volume of  
26 connections, but they do not represent the majority of the  
27 capacity connected to the grid. As of today, that still  
28 remains of the nonrenewable type, CHP, that kind of thing,



1 but that trend is expected to reverse in the next five  
2 years, with the majority of connections being of the  
3 renewable variety.

4 Now, the utility has maintained an on-time connection  
5 rate of greater than 92 percent for DER connections, but  
6 DER connections are expected to increase by 67 percent over  
7 the next five years, reaching a total of over 4,400  
8 connections by the end of 2029. That is a good-news story  
9 and one that the utility is proud to continue to  
10 facilitate.

11 However, DER proliferation also brings with it certain  
12 unique challenges. Grids need to be considered as energy  
13 systems, so they must remain in balance; Supply must be  
14 maintained in balance with demand. As a result, if that  
15 balance is not kept, instabilities will result, and that  
16 will translate into reduced reliability, instability, poor  
17 power quality, and ultimately outages.

18 Now, my colleague Mr. Higgins will take you through  
19 grid modernization next, but I wanted to touch on how  
20 essential grid modernization investments are in  
21 facilitating the integration of distributed resources onto  
22 the grid. This plan emphasizes the use of technologies in  
23 that space to understand asset behaviour primarily at the  
24 edge of the grid, in the consumer space, through the use of  
25 various on-the-ground and overhead sensors, advanced  
26 metering technology, and protection and control  
27 digitization.

28 This plan addresses the reduction of constraints on

1 the grid brought about by the proliferation and increase in  
2 DERs in three primary ways. We have made investments,  
3 proposed investments, in renewable battery-energy storage  
4 systems, which I'll talk about a little bit on my next  
5 slide on non-wires. We have proposed investments in  
6 station expansion at Sheppard TS, primarily to alleviate  
7 the constraints that currently our customers are undergoing  
8 into the east end of the city with respect to their  
9 inability to connect DERs. And we are investing in BUS tie  
10 reactors at additional stations to reduce the constraints  
11 that short-circuit capacity presents and serves as a  
12 hindrance to the connection of DERs.

13 But I wanted to leave you with a parting message when  
14 it comes to distributed energy resources in particular.  
15 You cannot control what you cannot see, so investments that  
16 enhance the visibility of distributed resources on the grid  
17 are essential in the electrification, in enabling the  
18 electrification journey. You cannot leverage what you  
19 cannot control, so you must be able to control those assets  
20 in a coordinated way to yield grid benefit. And, finally,  
21 you cannot optimize what you cannot leverage. You have to  
22 be able to leverage those resources in order to provide  
23 optimum benefit for the customers and preserve grid  
24 stability.

25 Next slide. Oh, excellent. I now will touch on  
26 another good-news story with respect to non-wire solutions.  
27 Now, non-wire solutions have been successfully deployed at  
28 Toronto Hydro in the form of demand response in particular

1 over the last two rate periods. In addition, Toronto Hydro  
2 uses front-of-the-meter battery energy storage for peak  
3 shaving. That is demonstrated by its Bulwer pilot. This  
4 plan expense expands on the use of how non-wires-battery-  
5 energy storage is applied on the grid in a number of unique  
6 ways.

7 First of all, we are using battery-energy store -- we  
8 are planning or proposing to use battery-energy storage as  
9 a renewable-enabling investment to facilitate the  
10 connection of additional DERs on the grid. Now, part of  
11 that proliferation problem that we were discussing a while  
12 ago is the fact that the, when generation exceeds the load  
13 on the grid, the amount of generation exceeds the load on a  
14 particular feeder, that results in instability, so the use  
15 of batteries to add load at particular periods of time to  
16 maintain that balance is essential, and we are piloting  
17 that in this rate period, and we hope to deploy several  
18 such installations.

19 Now, Toronto Hydro has been highly successful since  
20 the launch of the CSO demand response pilot in the 2015 to  
21 2019 rate period, culminating in the procurement of 10  
22 megawatts in this rate period under the Etobicoke pilot.

23 We are increasing that procurement by a factor of  
24 three in this planned rate period, for a procurement of 30  
25 megawatts, and that is supported by a robust benefit-cost  
26 framework that aligns with the recently published OEB  
27 framework on energy innovation.

28 However, for local demand response or any demand-side

1 initiative to yield grid benefit, it must be targeted. And  
2 the use case, the best use case, targeted use case that we  
3 have found for demand response in the 2025 to 2029 rate  
4 period has been the deferral or avoidance of capital spend  
5 associated with BUS and load-feeder transfers, so this  
6 program will also complement the load demand program that I  
7 covered before.

8 Now, Toronto Hydro explains their rationale on how  
9 this program is proposed and applied through its response  
10 to OEB Staff IRs IB Staff 87 and 1B Staff 88 that we can  
11 refer to for additional detail on how the program  
12 functions.

13 Now, I will wrap this up with a discussion around the  
14 components of the growth and electrification plan. Now, as  
15 you would have been able to determine, Toronto Hydro's  
16 system and access service investments represents what is  
17 necessary to connect customers, including DERs, to build  
18 capacity on the grid. Those programs, primarily customer  
19 connections, load demand, and station expansion, all speak  
20 to the growth elements of the plan in particular. That  
21 serves as the core mandate to connect customers who want to  
22 connect to the grid while building capacity for future  
23 investments. These segments of the plan represent 25  
24 percent of the capital spending in the proposal before the  
25 Board.

26 As we will observe, there are a number of factors that  
27 drive uncertainty in our planning process. Ms. Coban spoke  
28 to some of it. Mr. Higgins alluded to it, as well. But I

1 just want to basically speak to you about how the elements  
2 on the right, right-hand side of your screen, particularly  
3 affect the planning framework going forward.

4 Firstly, customer connections will continue to be  
5 highly variable in size, complexity and geographical  
6 location; that is a trend we expect to continue.  
7 Customers' preferences for the decarbonization of heat,  
8 building retrofits and district energy all promise to play  
9 a role in the energy landscape, going forward. This will  
10 result in variable demand requirements on the grid.

11 The story around district energy is not yet fully told  
12 and it is the expectation of the utility that, at some  
13 point in the future, district energy will play a  
14 significant role in curtailing peak demand, especially  
15 around large, new municipal developments.

16 Customer choice and incentive structures will  
17 influence adoption rates, especially in the electric  
18 vehicle space.

19 We have seen the impact of economic conditions and how  
20 they challenge affordability, and its consequential impact  
21 on the adoption of electric vehicles, particularly in the  
22 last two years.

23 In order to meet the federal, municipal and city zero-  
24 emission vehicle goals, acceleration in this rate period,  
25 amongst those drivers, will be necessary.

26 Technology that empowers customers and facilitates  
27 bidirectional flow on the grid is rapidly evolving, and  
28 will continue to enhance connections, especially those of a

1 distributed nature, and will be increasingly useful as  
2 tools to manage peak demand.

3 Policy evolution will play a major role in how  
4 customers and utilities respond to changes in energy use in  
5 the various aspects of their life. And we have seen the  
6 impact on DERs in particular, when we consider the  
7 transition from the FIT program in 2028 to net metering and  
8 beyond, the impact that that had on the connection of DERs  
9 for a brief period of time.

10 Toronto Hydro is also undergoing the third cycle of  
11 regional planning. The energy transition is playing a  
12 pivotal role in assessing the medium- and long-term needs  
13 of the transmission and bulk energy system.

14 This impacts distribution companies like Toronto Hydro  
15 through the need to manage energy distribution interfaces,  
16 like transformer stations, on the grid.

17 This can necessitate the need to build additional  
18 poles and wired assets or deploy demand-side programs to  
19 manage emerging or forecasted customer and system  
20 constraints.

21 Now considering various combinations of the foregoing,  
22 or in their totality, it is clear that plans must  
23 demonstrate increased flexibility to achieve the desired  
24 outcomes.

25 Thank you for listening, and I now pass you to Mr.  
26 Higgins to take you through the remainder of the capital  
27 presentation.

28 MR. HIGGINS: Thanks, Mr. Huntley. So I am going to

1 turn our attention to the grid modernization and  
2 modernization component of our plan, generally.

3 This is 17 percent of our capital investment plan.

4 Grid modernization is one of those nebulous terms that  
5 can mean different things to different people. For us,  
6 pragmatically, grid modernization is the application of  
7 proven technologies that have a clear and obvious benefit  
8 to customers in the form of better service, reduced costs  
9 or both. And, in that way, our plan here aligns with what  
10 we have heard from customers. And that was really a key  
11 criteria in selecting the investments that we prioritized  
12 for this rate period.

13 Historically, our modernization efforts have been a  
14 bit smaller and really embedded within are plans, either as  
15 integrated aspects, for example, of our system renewal  
16 approach where, as we rebuild parts of the system, we are  
17 adding SCADA switches, for example. So it is just part of  
18 the routine reinvestment in the system. And in some cases,  
19 where there is a high-value opportunity, we have invested  
20 in programs like network condition monitoring and control,  
21 which my colleague, Mr. Smart, will talk about, where we  
22 retrofit a part of the system with the new technologies for  
23 certain benefits -- reliability, cost, et cetera.

24 If this was the status quo planning cycle, we may see  
25 more of that. But the reality with this planning cycle, as  
26 I mentioned earlier and as my colleague alluded to when  
27 talking about the need to have better observability on the  
28 system and some of the challenges that we are facing, this

1 is not in our view a status quo planning cycle, in that we  
2 did identify a need as part of our overall integrated,  
3 least-regrets approach to planning, to accelerate some of  
4 the investment that we have been making within these proven  
5 technologies in the next rate period.

6 And that is in response to some accelerating  
7 challenges. I have listed a few of them on the left-hand  
8 side of the screen that I did want to highlight, really  
9 from a complexity and reliability perspective. So we  
10 haven't talked a lot about this today, but we are of course  
11 facing pressures from advancing climate change impacts.  
12 And that means more rain, more wind, more high-heat days,  
13 and that puts stress on our system and will make it more  
14 difficult to maintain the standard of reliability that we  
15 enjoy today.

16 On top of that, electrification of consumer energy  
17 demand is not only going to increase the actual demand  
18 pressures on the system, but it will also, just  
19 directionally, we assume, increase customer sensitivity to  
20 outages, because they will be relying on electricity as  
21 their primary fuel source more often.

22 And then distributed energy, the proliferation of  
23 distributed energy within our system and the expectations  
24 that customers and stakeholders will have for how we  
25 leverage that is another added complexity on the grid. And  
26 as my colleague Mr. Huntley talked about, there is that  
27 need for the ability to observe and control these resources  
28 to get the most out of them and accommodate as many as we



1 can.

2       These pressures together are going to make it, A, more  
3 challenging to maintain stability and reliability on the  
4 system, and ultimately I think raise customers expectations  
5 for what we are providing to them through the electricity  
6 system.

7       And on top of that, we have the costs that are going  
8 to go with this, actually accommodating these challenges,  
9 but also just the costs that we have been experiencing  
10 operating in the city of Toronto, which Mr. Smart will talk  
11 about briefly in a moment.

12       And so, with this grid modernization strategy in the  
13 next five years, the plan that we came up with was one  
14 where we are going to be accelerating the deployment of  
15 field technology, sensors, switches, and controls, and  
16 investments in automation to create a more intelligent grid  
17 that is more flexible and adaptive to the conditions that  
18 we are facing, and ultimately more efficient.

19       We also have a grid readiness component of the plan,  
20 which really refers to the readiness of our grid and our  
21 operations to accommodate distributed resources and  
22 distributed energy devices in general. So really, we are  
23 talking about DERs, but also demand-response potential as  
24 well as EVs, for example, as complex new sources of point-  
25 load on the system.

26       So we are looking to make investments in, again, it  
27 will leverage those observability and control investments,  
28 but also investments in better modelling, better data, and

1 different types of digital investments and automation  
2 investments that will make it more feasible for us to  
3 operate a grid with a high penetration of these kinds of  
4 complex resources and two-way power flows.

5 And as part of that grid readiness strategy, we are  
6 proposing an innovation program, which is a smaller pot of  
7 funding that we are looking to set aside for investments  
8 that are more exploratory around scaling up potential  
9 technological solutions to challenges that are still  
10 somewhat sticky today, for example, alleviating hosting  
11 capacity constraints on parts of the grid for DERs. We are  
12 still exploring solutions for that challenge, and we  
13 believe there are better technologies to come. And so that  
14 is part of accelerating that.

15 And then finally, I don't want to give short shrift to  
16 the analytics side of things, so sort of back at the  
17 office, whether it is in our control room or in our  
18 planning areas or even just managing our administrative  
19 processes, we see huge opportunities for making better use  
20 of the data that we have through the analytics  
21 capabilities, including AI and machine learning, which are  
22 emerging very rapidly at a very opportune time. And so we  
23 are looking to make investments and breakthroughs in that  
24 area, as well.

25 So if we go to the next slide, this is just the  
26 program view of those expenditures that we have mapped to  
27 our modernization program.

28 We are looking to accelerate, albeit on a lower number

1 of \$280 million, up to \$651 million.

2 I want to just take a quick second to focus on the big  
3 changes at the program level. And right off the bat, the  
4 one that I think jumps off the page is metering. In AMI  
5 2.0, next generation smart meters, this is what we are  
6 considering to be one of the key elements of our  
7 observability strategy; being able to actually see what's  
8 happening at the edge of the grid is going to be very  
9 important in the years to come. And we are going to get  
10 that capability in part through AMI 2.0 for our low-volume  
11 customers.

12 I just want to note, however, that these are  
13 investments that are actually nondiscretionary in nature.  
14 We're making these investments, first and foremost, because  
15 our existing meter population is at the end of its life.

16 The second thing I just wanted to highlight is the  
17 system enhancements program. That is the other one that is  
18 going up more significantly and that is the program where  
19 we are funding some of the stuff that you see represented  
20 in the picture on the left there, switches, reclosers,  
21 essentially distributed, distribution devices that are  
22 going to give us that flexibility, observability and  
23 ultimately give us the backbone that we needed of  
24 technology to actually start automating the grid operations  
25 more often, which is something that Mr. Smart will talk  
26 about as well.

27 And then finally, we've carved out a portion of our IT  
28 program here that I just wanted to highlight around cyber

1 security and software enhancements. These are really the  
2 key modernization components of our IT investments and  
3 these investments are set aside to support, A, that cyber  
4 security elements, which is increasingly important; but  
5 also the analytics component of our plan where we do expect  
6 significant efficiency benefits to be available to us over  
7 the next decade from making use of data in automating our  
8 processes. My colleague Dan Smart will talk to you a  
9 little bit about our investments that we're planning in  
10 this area around the ADMS or advanced distribution  
11 management system. So I'll leave that to him.

12 So, that's our modernization in a nutshell and then  
13 finally I'll wrap it up with a brief discussion on general  
14 plant. And so, this is the remainder of our operational  
15 capital investments. And that includes facilities, fleet,  
16 IT and OT assets, and these assets are -- these operational  
17 assets are essential to enabling efficient business  
18 operations and supporting capital investment in all the  
19 areas that were previously discussed.

20 And starting briefly with facilities and fleet, as a  
21 mature utility we do have a diverse mix of facilities  
22 across our service territory that consists of four major  
23 work centres as well as 185 stations buildings of varying  
24 vintages. And similarly to the actual electrical stations  
25 assets that we talked about earlier under the sustainment  
26 program, we have a demographic challenge and a condition  
27 challenge that is emerging with our stations buildings, as  
28 well. And so, this is one of the areas where we are

1 proposing an increase to address those key assets which  
2 ultimately protect our electrical assets and protect our  
3 workers and ultimately need to be maintained for safety and  
4 reliability purposes.

5 Our crews also rely on approximately 360 vehicles  
6 comprised of various light duty and heavy duty units to  
7 support operations and in that area, our plans are largely  
8 based on life cycle management of those asset, and so the  
9 plans that we've put forward are related to our asset  
10 management principles and asset condition.

11 I want to also mention physical security. That is  
12 another area where we are making investments that are part  
13 of the increase of the facilities management program. We  
14 have to address emerging needs to provide greater  
15 resilience against physical threats such as vandalism and  
16 sabotage through those systems, and of course physical  
17 security systems are an important part of our overall cyber  
18 security strategy as well.

19 And one thing I also wanted to mention was our net  
20 zero strategy. So, Toronto Hydro is committed to reducing  
21 other greenhouse gas emissions -- our scope one emissions  
22 -- to mitigate the impacts of climate change and reach net  
23 zero by 2040.

24 And we are planning to do this through two main  
25 things, one is increasing the complement of electric and  
26 hybrid vehicles in our fleet and the second is reducing  
27 building emissions through a combination of energy  
28 efficiency measures and the adoption of electric heating

1 systems over natural gas.

2 And moving on to IT and OT. So, the investments that  
3 you see on the screen are largely related to maintaining  
4 our core information technology and operational systems in  
5 the form of hardware, software applications and systems and  
6 communication assets which are essential to our day-to-day  
7 operations, including enabling customer self serve tools  
8 managing field crews and responding to outages. And so,  
9 these costs essentially track the upkeep costs that we are  
10 seeing in those areas.

11 And the last thing I wanted to note was the enterprise  
12 data centre, and this is sort of a standalone project for  
13 this rate period. It is sort of a unique blend of physical  
14 facilities assets and data centre IT assets.

15 Our data centres, they serve as core infrastructure.  
16 Housing essential networking, telecommunication data  
17 storage, as well as servers. And they are a critical piece  
18 of infrastructure and to ensure both the reliability of our  
19 core data centre as well as the scalability of that data  
20 centre for the future, we are looking to relocate it and  
21 rebuild it at a different work centre than where it is  
22 today, and that is all part of supporting business  
23 continuity and our modernization objectives.

24 So, that concludes our overview of our capital plan  
25 and with that, I am going to turn it over to my colleague,  
26 Mr. Smart, to talk little about bit about the operations  
27 side of business.

28 MR. JANIGAN: Okay. Can we take a break? How long of

1 a break would you need, 15 minutes? Okay. 11:30. Okay,  
2 we're going to take a break until 11:30 and resume our  
3 presentation at that time.

4 --- Recess taken at 11:10 a.m.

5 --- On resuming at 11:33 a.m.

6 MR. JANIGAN: Thanks very much. I want to apologize  
7 to the court reporter. I was going to request that some of  
8 the -- that there will be a slowdown in the [audio dropout]  
9 what was delivered to us and possibly that, in light of  
10 [audio dropout] and that might have been the reason for a  
11 break, but I think the break was very opportune.

12 Ms. Coban, the panel has discussed this, and we would  
13 like you to review the performance incentive mechanism in  
14 the appendix prior to our panel questions, if that's okay.

15 MS. COBAN: Sure, I would be happy to do that at the  
16 end. And, just in terms of getting us through the rest of  
17 the presentation, thanks very much for your patience. I  
18 know we had some IT connectivity challenges that resulted  
19 in a bit of a delay. We will do our best to wrap things up  
20 in about half an hour, with the remaining two  
21 presentations, without speeding up the voice and the  
22 delivery, just trying to focus on the most important  
23 points. And then we're in your hands in terms of finishing  
24 off that performance incentive slide and any questions that  
25 you may have.

26 MR. JANIGAN: Well, thanks very much, but don't speed  
27 it up too much. We are impressed by the complexity and the  
28 far-reaching aspects of what you've been presenting today,

1 so we're not going to ask that we terminate it in a way  
2 which truncates part of your presentation.

3 MS. COBAN: That is good to know. Thank you.

4 **PRESENTATION BY MR. SMART:**

5 MR. SMART: Thanks very much, Ms. Coban, and good  
6 morning, panel. My name is Dan Smart, and, as the general  
7 manager of distribution stations and grid operations, I'm  
8 responsible for leading the team that looks after 24-7-365  
9 operations at Toronto Hydro. So, most notably, that  
10 includes our control centre operations; our control centre  
11 support team and our trouble response crews; as well as our  
12 distribution stations design, construction, and maintenance  
13 teams.

14 So, what I'm going to do today is complement some of  
15 the discussions that my colleagues have gone through  
16 already today and talk about some of the operational  
17 challenges that we face at Toronto Hydro, talk about some  
18 of the ways we've been innovative and productive from an  
19 operations perspective, and then talk about some of the  
20 specific investments that we're putting forward to support  
21 operations technology and our workforce, all with the aim  
22 of addressing and overcoming some of the challenges and  
23 complexities that we've talked about already.

24 So, Toronto Hydro's ability to consistently deliver on  
25 customer objectives and meet customer and stakeholder  
26 expectations is really quarterbacked on a day-to-day basis  
27 by our operations teams. These fundamental objectives and  
28 outcomes that we work towards all day, every day, involve



1 environmental and safety priorities.

2 So, in a typical year, we respond to over 4,100  
3 emergency events, and I also want to note that, 89 percent  
4 of those, we have a crew on site within an hour, which is  
5 greater than the OEB-mandated target of 80 percent. We  
6 respond to and manage over 9,000 power-off events. We  
7 manage a system with over 4,000 remotely operable devices  
8 within our SCADA system, which enables reliability and  
9 efficiency improvements.

10 And, as stewards of the distribution system, we enable  
11 virtually all the work that takes place on or around the  
12 distribution system, and I think that's most notably  
13 represented by the figure you see on the far right of this  
14 slide here. Each year, we prepare and execute over 32,000  
15 switch sheets and hold-offs, which are different  
16 transactions that we use to facilitate safe work on the  
17 distribution system.

18 As we'll discuss, Toronto Hydro operates in uniquely  
19 challenging environments, and this, coupled with the energy  
20 transition that we've talked about at length this morning,  
21 necessitates specific investments in our workforce and  
22 technology in order to meet customer expectations today and  
23 into the future.

24 So, in this slide, I want to talk about some of those  
25 challenges. This is not an exhaustive list of some of the  
26 complications that we deal with, but it is representative  
27 of some of the more impactful factors.

28 So, Toronto is a very dense city. Across our service

1 territory, there are approximately 4,800 people per square  
2 kilometre, and, if you look specifically in the downtown  
3 core, that number balloons up to 16,000 people per square  
4 kilometre. For context, the next closest municipality is  
5 less than 3,000.

6       Additionally, Toronto is an old city by North American  
7 standards, so there is a significant amount of  
8 infrastructure and legacy infrastructure out in the system,  
9 and we have a fairly extensive tree canopy. And what all  
10 that means from an operations perspective is we have a  
11 different size and scale of the distribution system assets  
12 that we install and operate; the impacts of outages and  
13 emergency-type events are more significant; we have a  
14 significant volume of customer requests for new  
15 connections; and, in general, our roads are smaller, our  
16 sidewalks are smaller. I mentioned the tree canopy. It is  
17 much more challenging to locate, access, maintain, and  
18 repair a distribution system plan given those  
19 circumstances.

20       I think anybody who lives or works or travels through  
21 Toronto knows that it can be very, very challenging to get  
22 around with the volume of traffic that we all have to  
23 contend with. This is particularly impactful for the crews  
24 that we have that work within the city.

25       One data point that we have in our application is --  
26 you know, we looked at the amount of time it takes for our  
27 crews to get to site, and the crews that are based out of  
28 our downtown work centre in the Portlands, it takes them

1 approximately 45 percent more time to get to site as  
2 compared to the crews that are based in our suburban work  
3 centres in Etobicoke and Scarborough. And, as you can  
4 imagine, what that means is it takes us more time to get  
5 our people, our equipment, and our materials to site in  
6 order to execute our work, and it introduces challenges  
7 with respect to response times and those sorts of things  
8 because, you know, it's challenging to get around.

9 This challenge is something that we know is only going  
10 to grow in the future, with a number of major  
11 infrastructure projects now and in the future. For  
12 example, the Ontario line construction has begun. The city  
13 has embarked on a program to rehabilitate the Gardiner  
14 Expressway, and all of those things have a direct impact on  
15 our ability to get work done efficiently.

16 From a customer perspective, Toronto Hydro supplies  
17 some customers that are of unique importance at a  
18 municipal, provincial, and federal level. So, we supply  
19 the headquarters of several major banks, the Toronto Stock  
20 Exchange, the provincial legislature, as well as several  
21 hospitals that have internationally recognized research  
22 programs.

23 All that that's to say those types of customers have  
24 exceptionally low tolerances for service disruptions and  
25 very high expectations with respect to restoration when the  
26 lights do go out, and that impacts and necessitates  
27 additional incremental but prudent investments in terms of  
28 how we design our system in those locations to make sure

1 that there is a sufficient level of redundancy but also our  
2 emergency response posture, to make sure we are positioned  
3 to get crews out to site as soon as we need to in order to  
4 address those types of issues.

5 And then, lastly, there has been a lot of discussion  
6 about the ongoing energy transition, and I want to put a  
7 bit of an operations spin on it.

8 So, historically with one-way power flow, the  
9 electricity flows basically consistently from the  
10 transmitter, through the distributor, down to the end  
11 customer, and, based on that simplicity, you can make some  
12 assumptions about how the distribution system operates. So  
13 you know what direction power is flowing; you know  
14 generally or you can infer what voltages are; you know, if  
15 something goes wrong, immediately what the impacts are  
16 going to be.

17 But, as the volume of distributed energy resources  
18 and, you know, non-wires alternatives increases and the  
19 penetration increases, those assumptions break down, and,  
20 in order to operate the distribution system in an optimal  
21 way, you need more information, more powerful tools to  
22 predict what actually is happening out there, and you can't  
23 assume that, you know, if everything is okay today, an hour  
24 from now it's going to be okay, because of the intermittent  
25 nature of some of these resources. So that results in a  
26 requirement for additional workforce development and also,  
27 as I said, additional tools in order to understand what's  
28 going on.

1 All right. So, despite these challenges, Toronto  
2 Hydro's grid operations are efficient and even more so when  
3 you consider the context of the environment that we operate  
4 within. Over the last period and prior, we've benefitted  
5 from innovation and realized some productivity gains  
6 through optimization of our operations. I want to just  
7 highlight a few, a few key points in this slide.

8 By and large over the last rate period, our workforce  
9 in the control room and the core operations area has been  
10 more or less steady, and, despite that, we have facilitated  
11 an ever-growing volume of work happening on the  
12 distribution system.

13 The control centre and dispatch handle over 90,000  
14 calls each year, and, despite that, over 94 percent of  
15 those calls have a wait time of less than 10 minutes, which  
16 directly impacts the ability of crews to get going with  
17 their day and be productive in the field.

18 Additionally, another data point that we are  
19 particularly proud of is our improvements with respect to  
20 how long it takes to transact a hold-off. And that's  
21 basically an interaction that takes place when crews need  
22 to work adjacent to the distribution system. We have taken  
23 that interaction between the crew and the control room from  
24 29 minutes in 2024 down to three minutes in recent years.

25 Another area where we have innovated and we have been  
26 productive is with respect to our operations field  
27 resources. So, in recent years, we implemented what we  
28 call Oracle Field Services Cloud, or OFSC. And really what

1 that is, it is a modern platform that interfaces between  
2 our crews in the field, who access it through a laptop, our  
3 control centre, and our dispatch centre, who are managing  
4 our outage management system.

5 Through implementation of that tool, we have been able  
6 to eliminate the need for 20,000 manual work orders to be  
7 created every year. We have gained greater insight into  
8 crew travel times and been able -- it has enabled us to  
9 optimize the way that we route crews between events and  
10 between jobs. And it has also served as a catalyst to  
11 enable us to introduce new metrics and new processes around  
12 provision of estimated times of restorations for outages.  
13 So, in recent years, every single outage that happens on  
14 the Toronto Hydro system gets an estimated time of  
15 restoration.

16 It is updated consistently throughout the outage event  
17 by both the crew and the backend office, and it is  
18 something that we track on an ongoing basis.

19 The other thing we have done on the dispatch side is  
20 introduced new methods of -- or for customers to  
21 communicate system issues with Toronto Hydro. So in  
22 addition to the phone system today, we also have our IVR,  
23 we have our outage map where customers can submit issues,  
24 and we have also recently introduced a web chat feature,  
25 where customers can interact over a text box with a live  
26 agent.

27 On the system side, I want to briefly talk about the  
28 network condition monitoring and control program, or NCMC.

1           This is a program that we started several years ago,  
2 and it is aimed at automating or introducing automation and  
3 remote visibility to our downtown network system, which  
4 supplies about 10 to 15 percent of the load in the downtown  
5 core.

6           Through this system, we have been able to remotely  
7 identify insipient issues before they become a major  
8 problem, and without sending a crew to site. And we have  
9 also been able to automate some operations that  
10 historically would require sending a truck to a specific  
11 vault. And, for context, in the last five months of 2022,  
12 that resulted in about \$78,000 of operating costs saved,  
13 where we were able to redeploy those crews to focus on more  
14 higher priority tasks.

15           So, to deliver on the key outcomes in terms of grid  
16 operations against some of the challenges that we have  
17 discussed throughout this morning, while also maintaining  
18 continuous improvement in productivity and efficiency,  
19 Toronto Hydro needs to invest in some technology and tools  
20 that are going to provide the foundation for more efficient  
21 operations in an ever more complex work environment.

22           And really, the centrepiece of that, that program and  
23 of our proposal, is introduction of an Advanced  
24 Distribution Management System, or ADMS.

25           The ADMS is really an umbrella term that is used to  
26 refer to a number of interconnected platforms that we use  
27 to manage our outages, to manage our distribution system  
28 model, to manage our remotely operable devices in the field

1 and our distributed energy resource management system that  
2 we use to manage batteries and other local generation.

3 The platforms that we have today are all absolutely  
4 integral to what we do on a day-to-day basis, and enable us  
5 to be efficient and to process the volume of work that we  
6 need to process, day in and day out.

7 The systems we have today are all approaching or at  
8 the end of their vendor support period, which introduces  
9 risks with respect to future cybersecurity patches, bug  
10 fixes and are -- it constrains our ability to introduce  
11 additional enhancements and modernizations, if the vendor  
12 no longer supports the platform.

13 So it is absolutely imperative that we modernize those  
14 systems and we upgrade them to versions that are within  
15 vendor support.

16 This program and this initiative also provides the  
17 opportunity to introduce more powerful models and tools in  
18 order to address the challenges that we have talked about  
19 with respect to the energy transition, the prevalence of  
20 DERs and the deployment of non-wires alternatives.

21 The other thing I want to mention with respect to ADMS  
22 is the Advanced Metering Infrastructure 2.0 program.

23 So, in addition to the benefits from a billing  
24 perspective and the need to replace the meters due to their  
25 useful life, it will also bring significant visibility with  
26 respect to the secondary distribution system, and provide  
27 us more insight into what is going on at the edge of the  
28 grid where, today, we have no visibility whatsoever.



1           So that will enable us to look at what direction and  
2 how energy is flowing within the secondary system, and also  
3 provide us the ability to see in real time when there is a  
4 disruption or a service issue on the secondary side through  
5 what we call last gasp technology, which ultimately will  
6 enable us to improve our outage response.

7           The other technology investment that I want to talk  
8 about that is closely related to the ADMS system is the  
9 introduction of automation.

10          And we refer to that as the fault location isolation  
11 and service restoration module, or FLISR, F-L-I-S-R.

12          And in effect, what that does is it makes use of the  
13 network of smart switches, smart devices and sensors that  
14 we have installed in the distribution system. And when a  
15 fault occurs on a feeder, it automatically detects what  
16 section of the feeder that occurred.

17          It automatically opens the switches on either side of  
18 the damaged section of plants, and then it automatically  
19 closes switches in order to resupply power.

20          And all those actions happen within seconds to minutes  
21 versus, you know, 10, 15 minutes to an hour, today, when it  
22 is done manually by an operator.

23          If you couple that investment in automation with our  
24 plan to increase the use of SCADA devices and increase the  
25 number of smart devices like reclosers out in the system,  
26 we anticipate benefits from a reliability perspective of  
27 about 20 percent for SAIDI, so outage duration, and 25  
28 percent for SAIFI, so significant reliability and customer

1 benefits associated with this program.

2 And then the last thing I want to talk about is the  
3 workforce investments on the operations side.

4 I think it goes without saying that, you know, without  
5 the right people that are skilled, knowledgeable, qualified  
6 and experienced, we can't realize any of the benefits that  
7 we are talking about with modernization. And we would be  
8 very hard-pressed to deliver the level of service that we  
9 are even delivering today.

10 Over the last several years, throughout the pandemic,  
11 Toronto Hydro has faced some workforce challenges that have  
12 really, you know, impacted the whole operation.

13 From a retirement perspective, we saw a relatively  
14 large volume, which resulted in a 7 percent reduction in  
15 our average age.

16 We have observed more competition for science,  
17 technology and engineering graduates who form the basis for  
18 a pool of applicants for our skilled trades.

19 And given the nature of work that we do, many of our  
20 positions require four and a half to six and a half years  
21 of on-the-job training before someone is fully competent.

22 So all that's to say it is incredibly important in  
23 order for us to be able to deliver the programs that we are  
24 talking about, but also just operate the distribution  
25 system on a day-to-day basis, that we invest sufficient  
26 money to enable us to sustain and, in certain areas, grow  
27 that workforce.

28 Much of our operation, the headcount will remain flat.

1 And one example is our complement of distribution system  
2 operators, the folks that, you know, manage the  
3 distribution system, open and close switches on a day-to-  
4 day basis. Our intention is to manage the growing volume  
5 of work with that workforce through the investments that we  
6 talked about in an advanced distribution management system,  
7 and other process automation opportunities -- sorry,  
8 process optimization opportunities. But a couple of areas  
9 where we see a need for growth, one has to do with the  
10 back-office support that underpins the automation  
11 investments and the ADMS investment. So if you introduce  
12 automation, you require a significantly more complex and  
13 powerful distribution system model. It is no longer  
14 sufficient just to know this transformer is connected to  
15 this switch; now, you need to know this transformer, which  
16 has this impedance is connected to this switch through this  
17 wire and this insulation, et cetera, et cetera, et cetera.  
18 So there is more work involved in building and maintaining  
19 the model that underpins all these investments.

20 And I also mentioned, we are looking to increase the  
21 number of SCADA-operable or remotely operable devices that  
22 we have on the system, which will allow us to realize more  
23 benefits from automation.

24 And then the secondary that is driving headcount  
25 increases in the control room operations program is the  
26 prevalence of DERs, non-wires alternatives and programs  
27 like demand response. So, in order to realize the value  
28 and the intended benefits of those programs, you need to

1 actively monitor and manage those types of assets. And  
2 that is not something that we do at scale today. So we  
3 anticipate, as the prevalence and the penetration again of  
4 these types of solutions and assets increases, we are going  
5 to need to stand up or grow our team of people that look  
6 after and actively manage those assets on a day-to-day  
7 basis.

8 So, at a very high-level, those are the operational  
9 and technology investments from a -- that are most  
10 important from an operations perspective and, you know,  
11 without those types of investments we would be hard pressed  
12 to sustain or improve our operational performance in line  
13 with customer preferences around outage durations, outage  
14 frequencies, and those sorts of things.

15 We lack the resources to effectively implement non-  
16 wires solutions to address distribution system constraints  
17 and ultimately what we are trying to avoid is becoming an  
18 barrier to the energy transition.

19 So, that's the operations piece in a nutshell and I'll  
20 hand it off to my colleague Ms. Page to talk about customer  
21 care operations.

22 Presentation by Ms. Page:

23 MS. PAGE: Thank you, Mr. Smart, and good morning,  
24 Commissioners. My name is Evelyn Page and I'm the director  
25 of customer care operations. I'll be speaking about the  
26 customer OMNA programs which include customer care, key  
27 accounts and customer connections.

28 To provide context for our investment proposal I'd

1 like to walk you through the core operations that these  
2 programs cover before we get to sort of our historical  
3 performance, our productivity improvements over the last  
4 several years, what's changing in the customer care area  
5 and how we plan to modernize our systems.

6 So, for context, our 790,000 customers include 513 key  
7 account customers, and as you've heard from Mr. Smart, some  
8 of those key account customers are fairly large, complex  
9 and have very demanding needs.

10 This customer account drives our meter to cash process  
11 volumes, and you can see we do -- we have 14 billion-meter  
12 reads that we need to manage on an annual basis in order to  
13 translate that into 9.5 million bills.

14 We process 3.6 billion in payments and this is  
15 becoming increasingly more difficult as, since the COVID  
16 pandemic and the current economic climate has made it much  
17 more difficult for customers to manage their account  
18 balances.

19 We respond to over 400,000 e-mails and calls in a  
20 year. And we processed 3.6 million transactions through  
21 our serve, our various self serve technologies.

22 We also handled 5,400 connections, via our customer  
23 connections team and I'd like to speak a bit about the  
24 technology projects that we do in any given year.

25 We are usually working on 15 to 20 projects at any  
26 given time. An example of what we've done in the last  
27 couple of years we've been upgrading our customer  
28 information system which is quite outdated.

1           We've implemented green button, we've implemented the  
2 ultra low overnight time of use rate, introduced live chat  
3 into our context centre area as well, introduced a mobile  
4 app that's very similar to the transactions that you can do  
5 on our website. You are now able to do that on the mobile  
6 app.

7           In addition, we don't always work in silos, so the  
8 field services cloud that you heard Mr. Smart speak about,  
9 that gives us the mobile ability for our field staff to do  
10 meter exchanges, to do our -- handle our disconnect and  
11 reconnect program on a much more efficient basis.

12           All of these projects are really driven by public  
13 policy changes, technology system upgrades that -- in order  
14 to keep other systems current, new service offerings that  
15 our customers need and efficiency projects to control  
16 costs.

17           And all together, you know, the reason we are working  
18 on 15 to 20 in any given year is we've got about 35 -- or  
19 over 35 technology systems that support the customer  
20 services area, so it's a fairly complex area and very  
21 dependent on technology to handle this volume of operations  
22 and ensure we're efficient and effective.

23           Not only is the volume increasing but the types of  
24 work behind each of these transactions is becoming more  
25 complex. So, for example, customers now have three  
26 different price plans to choose from. Net metering  
27 customers continue to grow which makes meter reading and  
28 billing more complex. In the contact centre connections

1 and key accounts teams are handling more complex inquiries  
2 related to the energy transition.

3 Despite these trends the customer areas have  
4 demonstrated consistently strong performance and we are  
5 really proud of the improvements we've achieved in the last  
6 decade. As you can see on the chart we've improved  
7 performance across all of our customer performance metrics  
8 and we've done so by focusing on continuous improvement.  
9 You can see in 2022 that the customer satisfaction score  
10 was 94 percent which really reflects Toronto Hydro's  
11 commitment to excellent service.

12 We've also implemented productivity improvements to  
13 assist our customers and control costs. One of the things  
14 we committed to in our last rate filing was driving e-bill  
15 adoption and we exceeded our target ahead of schedule. In  
16 fact, if we stacked the paper savings from our customers on  
17 e-bills, it would actually be 10 percent higher than the CN  
18 Tower and this equates to an avoided cost of paper,  
19 printing and postage of \$4.4 million annually, so it is a  
20 significant savings for our customers.

21 Another improvement I'd like to highlight in the two  
22 charts on our right is our success in driving self serve  
23 tools. We recently enhanced our website, we added new  
24 functionality and we added more functionality for our  
25 commercial customers as well, and this you can see how the  
26 graph has spiked up quite significantly in 2021 and 2022.  
27 As a result, this has saved us a lot in calls and e-mails,  
28 and you can see that volume in the bottom chart going down

1 correspondingly.

2       These are just some of the ways that we've controlled  
3 costs while also being responsive to the needs of our  
4 customers.

5       As my colleagues have outlined, our rate filing is  
6 built on an extensive customer engagement process. And  
7 Toronto Hydro's objectives and our planned expenditures for  
8 customer services in the '25 to 2029 rate period are  
9 informed by what our customers have identified as their  
10 priorities through this process and through other ongoing  
11 feedback systems that we have in place.

12       The customer programs need to deliver on ongoing  
13 customer priorities that you see in the box on the left, so  
14 reasonable rates, finding efficiencies, reducing costs,  
15 timely and accurate bills, providing tools that our  
16 customers need so that they have the convenience to do what  
17 they need to do 24-7, and supporting our vulnerable  
18 customers.

19       We're also mindful that customers, in comparison to  
20 the customer service industry in general, so we need to  
21 stay current with those trends and industry norms or we  
22 risk dissatisfying our customers.

23       However, customers do have emerging priorities which  
24 we have gone through earlier, and so we need to layer those  
25 priorities into our services and what we've learned through  
26 this engagement, which includes assisting customers with  
27 their electrification goals, so customers are more  
28 interested in DERs, EV ownership.



1 Customers are also looking for more data and analytics  
2 to help them with their decision-making, so information  
3 coming out of the meter, how they're using their energy  
4 consumption, all through graphs, charts, the ability to  
5 pull with their energy management systems and pull that  
6 information out of our system. So, not only do we have to  
7 ensure that our systems are operating, they also need to be  
8 interfacing with the systems that our customers need to use  
9 and those evolving systems as well.

10 The customer programs have an investment plan in place  
11 that are desired designed to meet these priorities, and it  
12 is through people and technologies that we will make this  
13 shift.

14 So, in order to make this transition similar  
15 modernization efforts, as you have heard my colleagues  
16 speak about today, so we need to upscale our workforce, you  
17 know, to function and deliver services effectively in this  
18 complex environment. Our staff will need to have a greater  
19 depth of knowledge to help both our residential and our  
20 commercial customers to understand and navigate the new  
21 energy choices available to them, understand more complex  
22 bills with bi-directional energy flow information on them,  
23 understand government programs and incentives that might be  
24 available.

25 We also need to build and improve our self-serve  
26 functionalities and communication channels for customers,  
27 so these are constantly evolving. Our customers are  
28 looking to have us stay current with technologies that they

1 wish to use, so things that we will be introducing in the  
2 near future actually are proactive notifications to  
3 customers, such as bill due dates, or your bill is overdue,  
4 thank you we've received your payment. Customers really  
5 appreciate these kinds of nudges and notifications to help  
6 them manage their accounts.

7 Online functionality, like customers being able to set  
8 up arrears payment arrangements online rather than having  
9 to go through an agent, that sometimes helps customers get  
10 past just the barrier of admitting that they need help if  
11 they can go things online, without through an assistant,  
12 and agent to assist them.

13 New payment channels are emerging that customers are  
14 interested in, like digital wallets, and we'll be  
15 introducing that shortly.

16 Customers are looking for us to start using text, use  
17 e-mail more frequently, so we'll be using those for  
18 proactive notifications, as well.

19 We also need to leverage new technologies in order to  
20 control costs for customers, such as implementing a proper  
21 knowledge-management system. Ours is completely archaic,  
22 built in-house, and it just will not support the types of  
23 information we need going forward, and it's really the  
24 foundation that we need to provide consistent data across  
25 all of our communication channels.

26 And it also is needed to -- as the foundation to power  
27 things like chat bots, consolidate customer information for  
28 customers, so it really works well with artificial

1 intelligence, which we've talked about, which you've heard  
2 our other colleagues using in their areas. In the customer  
3 area, artificial intelligence is becoming very prominent,  
4 with lots of use cases, so, when you mirror your knowledge-  
5 management systems with your artificial intelligence, you  
6 can do things like pull the text of the customer  
7 conversation while it's live and pull information out of  
8 the account and provide information to the agent to help  
9 assist with the customer.

10 So, over the past several years, the customer programs  
11 have operated very efficiently, with our OM&A expenditures  
12 being relatively flat. We've worked very hard to drive  
13 efficiencies to offset operational pressures; however, we  
14 need to make investments in our people to meet emerging  
15 challenges. So, similar to what you've heard Mr. Smart  
16 speak about, it's really essential that we have an  
17 experienced workforce in place. We need to preserve  
18 knowledge and expertise of our core functions, and we need  
19 to add subject-matter expertise to develop the technology  
20 projects when needed.

21 Our Staff complement has declined over the years, and  
22 we need to rebuild our core capacity. We plan to do this  
23 by filling vacancies and transferring back in-house a  
24 portion of the functions that we currently have now with an  
25 external service provider.

26 We also need a newly skilled workforce to provide the  
27 capabilities to design and implement new technologies that  
28 we need. So, these skills would include workers who are

1 very skilled in AI, machine learning, business-process  
2 automation in order to drive the innovation and  
3 efficiencies that we need and to provide staff with the  
4 ability to respond to new types and complexities of  
5 inquiries.

6 We need data analytic skills. As you've heard, the  
7 amount of data is just growing at an exponential rate, but,  
8 in order to really fully leverage our systems, optimize our  
9 systems, optimize the services that we can provide our  
10 customer, we really need to be taking this data, analyzing  
11 this data, allowing it to provide us the insights that we  
12 need for decision-making.

13 In addition, our customers are asking us for data, as  
14 well, so we need to provide the data that customers are  
15 looking for in order to help them with their  
16 electrification decisions, help them manage their usage and  
17 control costs.

18 We need workers to build and evolve our digital  
19 channels, which are constantly changing over time, and our  
20 self-serve tools in order to keep pace with customers'  
21 changing priorities and the customer service industry in  
22 general.

23 So, failure to invest in our workforce would limit our  
24 capacity to build these services that we need and keep pace  
25 with the rapidly changing technology that we know our  
26 customers are looking for us to adopt in order to contain  
27 costs and provide the services they need. Our costs would  
28 escalate as our operations would become less and less

1 efficient over time.

2       It would impact our ability to meet our performance  
3 standards that we've achieved in the past and wish to,  
4 obviously, continue to achieve, and we would really  
5 frustrate our customers, who are looking for us to provide  
6 them with the services they need to meet their own energy  
7 transition goals.

8       So, although a period of transition is needed, we are  
9 confident that the customer plans will extract value from  
10 this investment in our workforce and achieve long-term and  
11 sustainable efficiency and performance in line with our  
12 customer performance -- sorry, in line with our customer  
13 priorities.

14       I think that's all we have for you today, so I would  
15 like to thank you very much for your time and attention and  
16 for listening to us go through our presentation and for  
17 your patience with our technology issues. I will turn it,  
18 I guess, to Daliana to go through the performance-incentive  
19 mechanism.

20       **PRESENTATION BY MS. COBAN (CONT'D.):**

21       MS. COBAN: Sure. If we can just turn up -- excuse  
22 me. I'm losing my voice. If we could, just turn up the  
23 appendix slide. So this is the slide that I mentioned at  
24 the outset of the presentation, that details the way that  
25 we envision this performance-incentive mechanism working  
26 from, kind of, a procedural perspective.

27       So what we envision in this application is that, in  
28 this first phase of the application, the Board would of

1 course in the normal course decide the rate parameters that  
2 we are working with in terms of being able to invest our  
3 plan. And, as part of that, there may be certain decisions  
4 with respect to the pace of our investments in certain  
5 areas and what have you.

6 So it is really important for us when we are thinking  
7 about the performance-incentive mechanism to have the  
8 ability to reevaluate those planned targets at the end of  
9 this process so that we can reflect, in the setting of  
10 those targets, the outcomes, the funding outcomes, and  
11 other guidance that we may get from the Board in this  
12 decision and make sure that we are reflecting that back  
13 into the specific targets and measures that we will be held  
14 accountable to over this period.

15 In this process we envision and we've proposed as a  
16 phase 2 to this application that that would happen roughly  
17 in parallel with the draft rate order process and that  
18 would, at least in the first instance, unfold much like a  
19 settlement, where the utility and the intervenors, having  
20 the guidance of the decision and the parameters that we are  
21 working with in terms of the decision, we would come to the  
22 table together to work out what those targets and those  
23 measures would look like as part of the PIM, and only if we  
24 can't come to an agreement on that would we come back to  
25 the Board in our phase 2 to make decision submissions with  
26 respect to the finalization of that PIM.

27 So we see this process roughly taking place in  
28 parallel with the draft rate order, so, by the time that we

1 are, you know, halfway through the first year of our plan,  
2 we have this part of the plan settled in terms of  
3 understanding what specific performance objectives we're  
4 working towards as part of the PIM.

5 We would then go through, as we do currently today,  
6 measuring our performance annually and reporting on these  
7 measures as part of our custom scorecard, through the  
8 regulatory MD&A disclosure, management discussion analysis  
9 disclosure that we do every year, with a custom scorecard.  
10 And then we could come back to the Board -- sorry.

11 Over this period of '25 to '29, as we are getting  
12 closer to realizing the performance objectives that we've  
13 set -- recognizing that those are 5-year objectives; they  
14 are not annual objectives, right? -- so, as we have  
15 confidence that our plan will be able to deliver the 5-year  
16 target, there would be a performance-incentive mechanism  
17 deferral account, which would be the vehicle in which those  
18 performance earnings can be recorded as we get confidence  
19 that we are going to be able to be able to hit those  
20 targets.

21 And then that mechanism, along with the results and  
22 the substantiating evidence around those results, would  
23 come back to the Board in the next rebasing application for  
24 a review of the results and a review of that particular  
25 account and disposition of that account.

26 Then, the disposition and clearance of that account  
27 would take place in the next rebasing application, and, you  
28 know, we would be able to look at that in terms of whether

1 it is a single-year disposition or a multi-year  
2 disposition; that would be a decision that we would make in  
3 the context of all the other factors that would be  
4 affecting the rates in that next rebasing application.

5 So hopefully this provides you a good overview of how  
6 we see this process evolving. All of this is also set out  
7 in our evidence, where we describe this mechanism.

8 MR. JANIGAN: Thank you, very much, for that.

9 Now the Panel will have some questions, and we will  
10 start with Commissioner Duff.

11 MS. DUFF: Let's just stay on this page for a second.

12 I am thinking about what's happening in 2025 to 2029.  
13 How many regulatory proceedings are you having? Are you  
14 coming back on an annual basis, at all? And I hear you  
15 saying no.

16 MS. COBAN: No. So we would continue to do an annual  
17 rate update process, much like the one we have today that  
18 is handled under delegated authority, which is just a  
19 mechanistic update.

20 MS. DUFF: I think I actually decided your last IRM.  
21 But okay, go ahead.

22 MS. COBAN: Yes. We did have exceptional  
23 circumstances --

24 MS. DUFF: Right.

25 MS. COBAN: -- in the last IRM, because we were  
26 implementing the Board's directive with respect to re-  
27 evaluating our depreciation-useful lives. And as a result  
28 of that, and the timing of that study being implemented



1 from a financial perspective, we needed a new variance  
2 account to be able to capture those variances in revenue  
3 requirement. That was really exceptional.

4 Typically, we don't tend to come in before the Board  
5 in those annual rebasings.

6 MS. DUFF: So you are here now, and then you will come  
7 back in five years. And that includes -- I guess that  
8 delegated authority could potentially be also your DBAs,  
9 your group 1s that you are trying to dispose of?

10 MS. COBAN: Correct. We typically deal with the group  
11 1s in the annual process, but not the group 2s.

12 MS. DUFF: And I just want to make sure I have got my  
13 understanding of the significance of having a price cap  
14 versus this revenue cap, and really what the difference is.

15 So you have your revenue number and then it is  
16 changing every year. And is the point though where you  
17 then transcend that into actual rates that people pay, and  
18 where, if I -- and you are agreeing. Have I got that  
19 right?

20 MS. COBAN: Yes.

21 MS. DUFF: And I look at a price cap IR, I am actually  
22 taking the actual rates the customer is paying. I pay, you  
23 know, \$1 per unit, and then those all increase just a  
24 little bit, based on the price cap IR percentage increase.  
25 Right? Everybody goes up the same amount.

26 So with this revenue cap and the way then you --  
27 you've got a quantum of revenue. And then you are  
28 allocating it back into rates, that's where I am not really

1 getting it. And you are not connecting that to what is  
2 actually happening in terms of the customer numbers or  
3 volume; you are doing it based on your five-year forecast.  
4 And okay, well, maybe I've got it wrong.

5 MS. COBAN: Yeah. So that annual allocation that  
6 happens is done in accordance with the specific growth we  
7 would expect to see in each rate class with respect to the  
8 different billing determinants in that rate class. That  
9 growth doesn't get updated annually.

10 MS. DUFF: Yeah.

11 MS. COBAN: It gets locked in at the rebasing. And  
12 then really what we are doing is just implementing those  
13 assumptions annually, as we then take that new revenue that  
14 has been escalated by the custom index and then allocate it  
15 down.

16 The allocation parameters don't change, so what we  
17 decide methodologically in the rebasing with respect to how  
18 the allocation works, we reproduce that year over year in  
19 the annual rate-setting process.

20 MS. DUFF: And hopefully you are not going to take  
21 this as a criticism, but I am just saying you are making a  
22 forecast for five years. I don't know what's going to  
23 happen with different customer groups. And is there an  
24 opportunity, did you consider updating that? Because it's  
25 an allocation process to the individual rate classes.

26 I could say wow, this is really changing within small  
27 businesses, or this is really changing in within  
28 industrial. And yet your, the trends, the adjustment to

1 actual rates is going to be based on your five-year  
2 forecast. So maybe you could talk about how you made that  
3 choice and why?

4 MS. COBAN: Yes. So we did think about that, and that  
5 is one of the components of uncertainty that is part of  
6 this demand-related variance account that we have proposed.

7 So that account would allow us to track those  
8 differences between the forecasted growth and billing  
9 determinants in each rate class, and then the actual growth  
10 and billing determinants that we see in each rate class,  
11 and be able to bring those variances back to the board for  
12 disposition in the next rebasing application.

13 At this time, it is difficult to say what the  
14 magnitude of those balances are and typically, we don't  
15 come in for group 2 dispositions during the custom IR  
16 period. But this is something that, you know, if -- and  
17 depending on the parameters of the Board decision, if there  
18 was a certain materiality hit, that we would be able to  
19 look at that and consider whether, you know, we have  
20 reached a threshold that we have to come back in and look  
21 at that.

22 But, as of right now, we propose to continue with the  
23 status quo of how group 2 accounts are dealt with, which is  
24 that they are reviewed at every rebasing rather than  
25 annually.

26 MS. DUFF: Thank you. That makes more sense in  
27 explaining that.

28 Going back to the very first part of your

1 presentations and talking about the inputs into this  
2 proposal that you have put before the OEB, am I right, and  
3 just tell me if I am wrong, one was the 2018 decision said  
4 we would like you to come back with some new ideas. And I  
5 think you have done that. That was one input.

6 But the other one is more just what's happening in the  
7 energy industry, this energy transition, right? And that  
8 the timing -- your five years is up, and now, it is 2024,  
9 and you are now setting it for another five years. And I  
10 think you called it the regulatory evolution; I smiled at  
11 that.

12 That regulatory evolution, do you think -- the  
13 proposal that you have put in front of the OEB, is it  
14 because you are Toronto Hydro, and you are so unique? You  
15 are large, you are urban.

16 Is that why you have come up with this custom IR? Or  
17 is it more that, just in a general sense, this is how the  
18 OEB should think about uncertainty for distributors?

19 I don't know if I have asked my question very well,  
20 and I am not a professional question-maker. But we  
21 regulate 60 distributors. We have got Toronto Hydro here  
22 today, kind of out front. Would you agree?

23 MS. COBAN: Yes.

24 MS. DUFF: Yes. And we have five years of this energy  
25 transition or regulatory evolution. I am not laughing; I  
26 am smiling at the term.

27 So what we are seeing in front of us today is  
28 something custom for Toronto Hydro, based on your needs.

1 Is that a better characterization than kind of a template  
2 for distributors in the province? That's what I am getting  
3 at.

4 MS. COBAN: Yes, as is the case with our investment  
5 plan and the rate framework, it is reflective of the  
6 particular needs and challenges that we face. And yes, we  
7 do find ourselves at the forefront of that energy  
8 transition because of the imperatives that we have here in  
9 Toronto in terms of decarbonization and the things you  
10 heard about today in terms of where our customers'  
11 priorities are with respect to decarbonization.

12 We did, however, in designing this framework, we  
13 didn't seek to revolutionize what's in place today because  
14 that's not our purview to do that. So we tried to work  
15 within the existing four corners of the RRF, with some  
16 adaptations that we talked about here today to deal with  
17 things like uncertainty and to deal with the balance of  
18 outcomes that we find ourselves having to deliver in this  
19 next five-year period, as we are at the forefront of that  
20 energy transition.

21 And we do know that, you know, being the first ones  
22 in, we have a responsibility to propose something here that  
23 is grounded in solid principles that as, you know  
24 regulatory mechanisms which work with what we have in place  
25 today and to the extent there are evolutions, there are  
26 reasoned well and they are grounded in those principles.

27 But we don't necessarily think of this application as  
28 being a blueprint for the rest of the sector. That would

1 be outside of our purview. We know that the Board has  
2 plans to revisit the RRF in the near future and, you know,  
3 that will unfold in the normal course.

4 MS. DUFF: The timing is what it is. Your five-year  
5 term was up, and you are about to establish a new one.  
6 Right?

7 MS. COBAN: Yes.

8 MS. DUFF: Okay. I just had another area of  
9 questions. It won't take too long. It is a little bit  
10 more on customer service, I think.

11 I don't know what you meant by 513 key account  
12 customers. And so perhaps you could explain what a key  
13 account customer is.

14 MS. PAGE: Sure. Yes, a key account customer includes  
15 any customer over 5 meg. So it depends on loads. We  
16 categorize them by load or by a critical infrastructure,  
17 such as a research hospital or the Toronto Stock Exchange,  
18 like some of the ones that Mr. Smart spoke about.

19 MS. DUFF: In particular, one aspect about Toronto  
20 Hydro that is new to me is this, you know -- I will do the  
21 acronym first, CSMUR, these competitive multi-sub unit  
22 dwellings. So, you have 800,000 customers that you bill  
23 directly. Is that correct?

24 MS. PAGE: That's correct.

25 MS. DUFF: Do you know how many of these sub-metering  
26 end-users that you also have?

27 MS. PAGE: We have -- we don't have exact information  
28 on that because we don't always know what's behind a bulk

1 meter but our best estimate is it is about 340,000.

2 MS. DUFF: About 50 percent of your base?

3 MS. PAGE: Well, that would be in addition to the  
4 800,000.

5 MS. DUFF: So 340. So, is there any -- so, for those  
6 customers, what was the number you said, 340? I want to  
7 make sure I get it right. 340?

8 MS. PAGE: Yes.

9 MS. DUFF: When you are talking about -- well, what  
10 you do, your customer communication, whatever, they are not  
11 really customers of yours, though? Is that true? They are  
12 -- like, if I'm one of those end-users that I am billed by  
13 my condo owner, what when they call your customer service  
14 with questions about their bills?

15 MS. PAGE: They don't typically because we, you know,  
16 they get build from their sub-metre and it's got their  
17 phone number on it, so we get very few calls from those  
18 types of customers.

19 MS. DUFF: Okay.

20 MS. PAGE: But if we do, we just refer them back to  
21 their provider.

22 MS. DUFF: And do you think that segment of this  
23 competitive sub-metering, is it going to grow with in-fill  
24 in Toronto? I mean, right now, you know it could be an  
25 additional 340,000 customers on your 800,000 base. Do you  
26 see that increasing?

27 MS. PAGE: Yes, absolutely. I think with all the  
28 growth in Toronto and, you know, the number of cranes and

1 constructions you see and a lot of it is large towers and  
2 multi-use or multi-unit type of infrastructure that's going  
3 up. Then, yes, we would see either our own suite-metered  
4 customers growing as well as sub-metered customers growing  
5 which we bulk meter.

6 MS. DUFF: And your focus on, you know, everything  
7 from understanding your load forecast, understanding, you  
8 know, in a power outage situation, I mean, it's a little  
9 bit different for those customers. Right? There is an  
10 intermediary party that's involved.

11 I'm sorry, I don't mean to just ask you, but I'm  
12 trying to understand what's -- what this -- this group of  
13 customers which I'm not really seeing in a lot of the  
14 numbers. And so, as I -- is it -- do you have line of  
15 sight and are you concerned about that? Let's just...

16 MR. SMART: So typically, like, the way we would look  
17 at it from an operations perspective is the load. So,  
18 bulk-metered customer would have significantly more load  
19 associated with it, and as a result, when there's an outage  
20 to that type of location or supply points, you know we he  
21 would prioritize it accordingly, so I think operationally  
22 we do have sufficient line of sight to manage the  
23 reliability of supply.

24 MS. DUFF: Yes, and behind the meter, I mean that  
25 condo owner they could have their own recovery, like they  
26 could have generation backfill themselves. Right? They  
27 could help their customers behind the meter. Is that true?

28 MR. SMART: Correct. And that does happen from time



1 to time, where a sub-metered or suite-metered customer will  
2 have an issue and the issue is actually between their unit  
3 and the bulk-meter, in which case it is not our  
4 infrastructure.

5 MS. DUFF: Okay. And aside from the 340,000 customer  
6 number, do you have an associated volume, associated, like,  
7 within a rate class, can you then add it up and have the  
8 percentage of your throughput? And I'm not asking for an  
9 undertaking. I just didn't know if you've reported that on  
10 the evidence so far?

11 MS. PAGE: Sorry, can you clarify your question?

12 MS. DUFF: So associated with the 340,000 end-users --

13 MS. PAGE: Right.

14 MS. DUFF: Do we know what percentage of your load  
15 that is? And if you don't know that's fine.

16 MS. PAGE: Yes, I don't think we have that available.  
17 If you'd like we can take it away and get that information.

18 MS. DUFF: I'm not asking that. Thank you. Okay.  
19 Those are my questions.

20 MS. PAGE: Okay. I might add just from a, you know,  
21 with a load perspective, that we have to deal with, but it  
22 also impacts our key account team. So, when a building is  
23 being developed they're very much involved, whether we are  
24 bulk-metering it or suite-metering it, it is the same  
25 effort to get that building, you know, constructed,  
26 designed and everything in terms of the electricity that we  
27 need to provide.

28 MS. DUFF: Which goes back to my first question. So,

1 those key accounts, that's one of the type of customers  
2 that's in that key account category?

3 MS. PAGE: That's correct, yes.

4 MS. DUFF: Okay, thank you.

5 MR. JANIGAN: Commissioner Zlahtic.

6 MR. ZLAHTIC: Good morning, or is it good afternoon?  
7 I'm not sure. I have a few questions. I just want to  
8 caution you that I can be a bit of a number nerd and when I  
9 see numbers that don't line up I kind of -- my head goes  
10 tilt.

11 So, I'm trying to remember the slide where you were  
12 talking about your general plant capital finance. One  
13 moment. There it is.

14 So, the number 467 and in preparation for today, you  
15 know, I was scrambling reading a bunch of evidence and the  
16 number I see is \$562.6 million and I can give you an  
17 exhibit that I pulled it from. So, like, there is  
18 \$100 million discrepancy from what I understand and what  
19 you presented. Can you help me?

20 MS. COBAN: Yes. So, I think the source of that  
21 discrepancy -- and I will take this away and confirm for  
22 some reason if there is more to it than the explanation  
23 then I will let you know -- but is that when you look at  
24 the evidence, general plant, in the distribution system  
25 plan would include all of those IT investments that Mr.  
26 Higgins talked about that form part of our modernization  
27 strategy. So, those cyber security and software  
28 enhancement investments that are part of IT have been, for

1 the purposes of this presentation, mapped to the  
2 modernization bucket as they form a critical part of the  
3 enabling investments to deliver on those objectives. But  
4 in the distribution system plan, just following the Board's  
5 normal filing requirements, all of those IT investments are  
6 a part of general plant. That may be the source of the  
7 discrepancy that you see here.

8 MR. ZLAHTIC: Well, let me just give you the exhibit.  
9 My source is Exhibit 2B, section E4, updated January 29,  
10 2024. So...

11 MS. COBAN: Yes.

12 MR. ZLAHTIC: Okay. And because I'm trying to  
13 reconcile it back to your total capital budget which is  
14 approximately \$3.9 billions. So, anyways...

15 MR. HIGGINS: Do we want to maybe just go back one  
16 slide just to illustrate the point there. We have the IT,  
17 cyber security and software enhancements under the  
18 modernization table there for 95 million.

19 MR. ZLAHTIC: Okay.

20 MR. HIGGINS: So, that normally within the DSP that  
21 would appear as part of general plant.

22 MR. ZLAHTIC: Okay.

23 MR. HIGGINS: But we kind of broke things up in a way  
24 that this is kind of how we spoke to customers about the  
25 plan, and so this was kind of the strategic lens on the  
26 plan. So, it does get a little bit confusing, apologies  
27 for that.

28 MR. ZLAHTIC: Oh, no worries. It is considered

1 reconciled. Thank you.

2 I have a question, I believe it is for Mr. Huntley,  
3 and it is with respect to EVs and this is a question I ask  
4 every utility if I get one in front of me on the stand and  
5 it -- what has Toronto Hydro done to have greater  
6 visibility in just understanding what EVs are currently on  
7 your system in terms of location and the impact on load?  
8 And there's going to be a follow-up question.

9 MR. HUNTLEY: Thank you for the question, Commissioner  
10 Zlahtic. I'll start off by illustrating in a pre-filed  
11 evidence, we have -- and I would -- it would be In Exhibit  
12 2B, section D5 where we spoke to our modernization  
13 initiatives that Toronto Hydro undertook a EV demand  
14 response pilot with Velocity to understand the impacts of  
15 EV charging in a very targeted manner on feeder loading  
16 behaviour.

17 We are planning a phase 2 to that project in this plan  
18 that would focus on a larger volume of EVs but also involve  
19 the use of telematics directly to the EV itself. So in  
20 essence it is a demand response program catered specific to  
21 EVs.

22 Sorry, the second part of your question was?

23 MR. ZLAHTIC: Oh, it's coming. So, you know I was  
24 trying to understand it. You know, what you understand in  
25 terms of what you have as a base, just to understand the  
26 impact on your system and then to forecast additional EV  
27 penetration and the requirements on your system in terms of  
28 upgrades, in terms systems access and system renewal

1 because it will impact both. Right? Like, how do you do  
2 that?

3 MR. HUNTLEY: Okay, all right.

4 MR. ZLAHTIC: Sorry, was the question clear?

5 MR. HUNTLEY: Yes, it is. Thank you. I'll take you  
6 back to probably a little bit of the methodology behind the  
7 development of the peak-demand forecast specific to  
8 electric vehicles, themselves. The utility does have data  
9 with respect to the distribution of EVs in the Toronto  
10 Hydro territory.

11 The resolution at the moment, I think it is by forward  
12 sortation area, like the first three digits of your postal  
13 code. But, in essence, we have been able to map that  
14 across the grid.

15 Now, in terms of modelling EV-charging behaviour and  
16 its impact on the grid, we started out by working with  
17 consultants who have done research out of the state of  
18 California, that have an extensive database of the EV-  
19 charging behaviour, and modelling that particular charging  
20 behaviour and applying it in the Toronto context,  
21 especially given the additional benefits we have by  
22 implementing ultra-use overnight rates.

23 Those components went into the modelling of EVs,  
24 themselves, mapped to the targets developed by the city of  
25 Toronto through their EV strategy and disaggregating that  
26 with respect to light-duty vehicles, medium- and heavy-duty  
27 vehicles. Implementing additional parameters like fleet  
28 charging, TTC eBus charging behaviours, we were able to

1 develop a robust model with respect to -charging behaviour,  
2 contextualized specifically for the City of Toronto.

3 MR. ZLAHTIC: Okay. Thank you, that's really helpful.  
4 It is just something that sort of nags at me every time I  
5 see an application and they are talking about the energy  
6 transition and EVs. So I have a couple of other questions,  
7 and I think it's -- this time I noted the slide, slide 18,  
8 if you can go there.

9 Yes. You talked about peak-demand growth forecasts  
10 for Toronto Hydro, and what was really helpful but didn't  
11 have a chance to go through it is you provided an exhibit  
12 list to go with every slide. If I were to go through this  
13 exhibits list for slide 18, would I be able to find a  
14 disaggregation of peak load by rate class?

15 MR. HUNTLEY: The disaggregation that you will be able  
16 to reference on the record would be by driver.

17 MR. ZLAHTIC: Sorry, by what?

18 MR. HUNTLEY: By driver.

19 MR. ZLAHTIC: Oh, by driver.

20 MR. HUNTLEY: Peak demand driver.

21 MR. ZLAHTIC: Okay. Sorry, I'm just being lazy here.  
22 I just want to know which of these many exhibits I have to  
23 go to see to find that information, and I can do that on my  
24 own. I am not asking for an undertaking.

25 MR. HUNTLEY: That would be Exhibit 2B, section D4.

26 MR. ZLAHTIC: Just let me make a note of that.

27 MR KEIZER: Sorry, again?

28 MR. HUNTLEY: Exhibit 2B, section D4.

1 MR. ZLAHTIC: Okay, I have got it.

2 MR. KEIZER: Commissioner Zlahtic, just to clarify,  
3 though, your question was in the realm of class load  
4 demand. Right?

5 MR. ZLAHTIC: Yes.

6 MR. KEIZER: And I think it is important that -- and  
7 maybe the witness can actually clarify -- the peak command  
8 demand here is related to stations demand, not necessarily  
9 customer demand, so there is a distinction between the two  
10 kinds of demands so to speak.

11 MR. ZLAHTIC: Right.

12 MR. KEIZER: Just so that you are not left with  
13 confusion and searching through the exhibit and not finding  
14 what you're looking for.

15 MR. ZLAHTIC: Okay.

16 MR. KEIZER: And I do believe the exhibit you've given  
17 to the Commissioner Zlahtic relates to the peak demand,  
18 which then leads into the station forecast. Correct?

19 MR. HUNTLEY: That's correct.

20 MR. ZLAHTIC: Thank you. That was helpful. I think  
21 you've helped me look for what I am looking for. Does that  
22 make sense? You have helped me look for what I was looking  
23 for, yes.

24 I just have a few more questions, I promise. I don't  
25 have an exhibit to point you to or a slide to point you to,  
26 but it is just a general, and it is: What percentage of  
27 Toronto Hydro's capital plan is for discrete projects?

28 MS. COBAN: I think we have an IR that addresses this

1 question. It is approximately \$500 million of the total  
2 that can be attributed to discrete projects.

3 MR. ZLAHTIC: So \$500 million out of the \$3.9 billion?  
4 Okay. Okay, that's a fair amount. I think I already know  
5 the answer, but I will ask it anyway. What percentage of  
6 Toronto Hydro's capital plan is covered by the proposed  
7 demand-related variance account?

8 MS. COBAN: Just doing quick math.

9 MR. ZLAHTIC: That's okay. Take your time.

10 MS. COBAN: To give you a sense. If we could just  
11 turn to the slide where we have the growth plan  
12 expenditures, that will help us. Apologies. So, just to  
13 give you that reference, my colleague is going to run the  
14 math, but it is essentially: The list of programs that you  
15 see here, on the slide --

16 MR. ZLAHTIC: Mm-hmm.

17 MS. COBAN: -- the only program that's, that's --  
18 actually, it is all of the list of the programs that you  
19 see here, on the slide. These are all of our growth-  
20 related capital programs, and all of them are subject to  
21 the demand [audio dropout] So all of the programs that we  
22 see here, on the slide, relate to the demand-related  
23 variance account capital investments that would be tracked  
24 as part of that account. So we're just doing the quick  
25 math on that total and the load relative to the \$3.9-  
26 billion capital plans.

27 MR. ZLAHTIC: All right. Can you give me the slide  
28 number reference? It is covered by the presenter's name on



1 my screen. Which slide is that?

2 MR. HIGGINS: Slide 22.

3 MR. ZLAHTIC: Okay. Hang on a second.

4 MR. HIGGINS: Yes, so the answer is 24 percent.

5 MR. ZLAHTIC: Sorry?

6 MR. HIGGINS: The answer would be 24 percent, yes,  
7 because it is all of those programs.

8 MR. ZLAHTIC: Okay, so then it is just limited to the  
9 programs listed on this slide? Okay, that's really  
10 helpful.

11 MS. COBAN: Sorry, to clarify, these are the capital  
12 programs. There are also a number of operational programs  
13 that make up part of that account, so, if we can flip to  
14 the slide where we had the account, I just want to make  
15 sure you have the right information. So you see there, at  
16 the bottom, the programs in orange? Those are the  
17 operational programs that would be tracked in the account,  
18 as well. I don't have the dollars with me for those  
19 programs today, but we could provide that if you'd like.

20 MR. ZLAHTIC: Actually, I wouldn't mind if you would,  
21 if it is not a big ask.

22 MS. COBAN: It's not a problem.

23 MR. ZLAHTIC: Okay. I just have a few more questions  
24 and more to do with non-wires solutions. And then you  
25 folks are probably aware that the OEB published its VCE  
26 framework on May the 16th. And the question I have is  
27 that, over the term of your custom IR, will Toronto Hydro  
28 -- do they intend to notify the OEB of any projects over

1 \$2 million that are in your capital plan?

2 MS. COBAN: I am pausing on your question because,  
3 given how recent that guidance was issued, we haven't had a  
4 chance to fully consider that, but, just contextually, what  
5 I can offer is that we have, you know, over a thousand  
6 projects that we would execute over this time period. So,  
7 just 2020 to 2023, we have about 1,100 capital projects  
8 that got executed, and not all of those would be above  
9 \$2 million, but a significant portion of those would be  
10 above \$2 million, just to give you the context.

11 In terms of your specific question, you know,  
12 candidly, we hadn't had the opportunity yet to consider  
13 that, so I'd have to take that back.

14 MR. ZLAHTIC: Yes. And again there is not an  
15 undertaking here, but just to reiterate: The number of  
16 projects you talked about, is this in the 2025 to 2029 plan  
17 or this is historic numbers? I just misheard you. I'm  
18 sorry.

19 MS. COBAN: It is historic, just to provide you some  
20 context as to the volume of projects that we would expect  
21 to see over a 5-year period. We don't yet have project  
22 details scoped out for the '25 to '29 period as many of our  
23 investments are of a programmatic nature.

24 MR. ZLAHTIC: So, ballpark, how many projects would  
25 that be, just a rough guess?

26 MS. COBAN: It's ballpark, if we're looking at history  
27 and we do have an increase over historicals, but  
28 historically we were looking at just under 300 projects per

1 year.

2 MR. ZLAHTIC: Wow, okay. I'm just going to make a  
3 note here so I don't have the to ask again.

4 And I guess probably the same answer, my follow-up  
5 question was, you know, having -- once you review the May  
6 16th guidance, the question is: Will Toronto Hydro seek  
7 OEB capital approvals over your custom IR term and I think  
8 I know the answer, is we need to take that away and think  
9 about it.

10 MS. COBAN: We have a plan before the Board that  
11 reflects a five-year work plan and within that plan we also  
12 have the demand-related variance account that would give us  
13 the flexibility to do more demand response work if we see  
14 opportunities for that.

15 And so we don't envision that we would come back for  
16 the Board if this account is approved, as we would have the  
17 necessary flexibility to adapt our plans in that regard.

18 MR. ZLAHTIC: Okay, thank you, thank you. Those are  
19 all my questions. Thank you very much.

20 MR KEIZER: Just before you move on, Commissioner  
21 Zlahtic, with respect to the discrete projects and the  
22 specific IR that Ms. Coban referenced, it is actually  
23 Exhibit 1B, Staff 12, paragraph (c) that gives you the  
24 discrete projects.

25 MR. ZLAHTIC: Sorry, can you just repeat. My monitor  
26 just went off.

27 MR KEIZER: It's okay. It's --

28 MR. ZLAHTIC: Hang on. I just destroyed my monitor.

1 MR KEIZER: It is interrogatory, Exhibit 1B, Staff 12,  
2 part (c).

3 MR. ZLAHTIC: Thank you. I'll just re-assemble my  
4 thing here.

5 MR. JANIGAN: Thank you. I only have one question and  
6 it deals with, as you know, the OEB has initiated a  
7 proceeding to establish the appropriate cost of capital and  
8 rates of return for all electric utilities, and this  
9 decision is expected to be released early in the new year,  
10 probably either in February or March. How should that  
11 decision affect Toronto Hydro and the setting of rate and  
12 charges in this application?

13 MS. COBAN: This proposal that we have in front of the  
14 Board of course was prepared before that cost of capital  
15 proceeding was initiated, and it does reflect an integrated  
16 proposal with respect to the cost of capital parameters  
17 that we know and understand today.

18 MR. JANIGAN: Mm-hmm.

19 MS. COBAN: We are of course in the Board's hands in  
20 terms of the eventual approval of those parameters, but our  
21 proposal to you today is that we would continue with the  
22 existing capital structure and cost of capital parameters  
23 that we have in place today.

24 MR. JANIGAN: Mm-hmm. Variance accounts, to my  
25 knowledge have never got gone out of style. Is that an  
26 alternative that may be acceptable?

27 MS. COBAN: With respect to cost of capital?

28 MR. JANIGAN: Yes.

1 MS. COBAN: We'd have to that I can that away and  
2 discuss it. I don't think I'm in a position, but we would  
3 be prepared to comment at a hearing.

4 MR. JANIGAN: Okay, that are -- that is all the  
5 questions that I have.

6 I'd like to extend our thanks to Toronto Hydro for  
7 what was an extensive and very helpful presentation that  
8 will help to guide settlement conference and, if necessary,  
9 the proceeding that follows it.

10 Thank you very much for the court reporter which we  
11 tested a fair amount. It is the first time I've realized  
12 that people doing presentations are a lot different than  
13 the speed at which they talk when they answer questions,  
14 and I should have intervened earlier on that score.

15 Thank you very much for the individuals and parties  
16 that have attended and this concludes presentation day.

17 --- Whereupon the presentation concluded at 12:49 p.m.

18

19

20

21

22

23

24

25

26

27

28